

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Federal Energy Regulatory Commission

Competitive Transmission Development Technical Conference

Docket No. AD16-18-000

June 27, 2016

1:00 p.m.

888 First Street, NE

Washington DC 20426

Commission Meeting Room 2C

1 P R O C E E D I N G S

2 CHAIRMAN BAY: Good afternoon everybody. Who  
3 knew that order one thousand would attract such a large  
4 crowd but we're now six years into order one thousand. A  
5 tremendous amount of work has gone into order one thousand,  
6 both here at the Commission and at the RQS ISOs, the  
7 planning regions and industry appreciate the work of our  
8 stakeholders on order 1000. Notably competitive projects  
9 have been put out to bid in the RQS ISOs.

10 And now that we have some experience here under  
11 order one thousand, today's conference gives us an  
12 opportunity to take a step back and to examine a number of  
13 issues that have arisen. One being cost containment,  
14 provisions and competitive development processes and how  
15 they should be evaluated. Rate-making issues associated  
16 with cost containment provisions, the relationship between  
17 Commission incentives and competitive development processes,  
18 inter-regional transmission coordination issues as well as  
19 other regional issues.

20 I look forward to hearing the views from all the  
21 panelists. I thank them for coming here today. I  
22 appreciate the hard work of staff in putting together  
23 today's conference. Let me note that after the conclusion  
24 of this technical conference the Commission will review the  
25 record in this proceeding and in the near future issue a

1 notice inviting post-conference comments. The notice will  
2 identify certain issues regarding which the commission is  
3 particularly interested in receiving comments. If anyone  
4 else is wearing seersucker here today your comments receive  
5 extra credit, so. Cheryl?

6 COMMISSIONER LEFLEUR: Thank you, yes. Imitation  
7 is the sincerest form of flattery as clear who my style icon  
8 is. Very excited about today's and tomorrow's tech  
9 conference. I appreciate all of the comments we received in  
10 advance and people traveling from near and far to share  
11 their thoughts. It's axiomatic, our Nation is going through  
12 big changes in how we generate and deliver electricity and a  
13 robust transmission network is needed to support those  
14 changes.

15 Order one thousand was issued five years ago next  
16 month, recognizing that transmission would be important to  
17 ensure liability, allow access to lease/cost resources, and  
18 meet State and Federal public policies particularly carbon  
19 policy. The central purpose of the rule was require  
20 regional planning and cost allocation to make sure that the  
21 transmission that built was cost effective and best suited  
22 to meet customer needs. A key part of achieving that  
23 objective was our belief that opening transmission  
24 development to competition was a part of making it just and  
25 reasonable. As I think through all the issues over the next

1 couple of days I am going to be really trying to listen to  
2 them on two levels. The first is I'm very interested in the  
3 specific questions that staff framed on the agenda. I  
4 issued a statement last week to underscore some of those  
5 questions, interested in how the competitive processes are  
6 going, what we have learned, how cost control proposals have  
7 been and should be considered and whether there are changes  
8 that we need to make to our rate-making or incentives policy  
9 to reflect Order One Thousand.

10 As always, at every tech conference I hope folks  
11 can be as clear and specific as they can and any  
12 recommendations for further Commission actions so we can  
13 build a good record but more fundamentally, at a higher  
14 level I'm interested in how Order One Thousand  
15 implementation is working out and whether it's achieving its  
16 core purpose of making sure that regional and intraregional  
17 transmission is planned and built where needed.

18 I try to follow the regulatory Hippocratic oath,  
19 "Don't make things worse" and I know we intentionally gave  
20 regions and transmission owners a lot of flexibility and  
21 I've been really closely watching how that flexibility has  
22 been applied, not just with reference to the letter of the  
23 law but the spirit of the law as well.

24 In particular, I've been concerned for a while  
25 that the threat of competitive processes may be having an

1 unintended impact on transmission planning itself since we  
2 seem to be seeing a profusion of the types of projects and  
3 categories that are not subject to competition such as local  
4 and near-term projects and a relative dearth of projects,  
5 bigger projects that are subject or regional projects that  
6 are subject to competition and you know, that kind of goes  
7 against the central purpose of the rules so I just want to  
8 see if that is happening, why is that happening, to make  
9 sure that we got it right and it's actually advancing the  
10 purpose of doing what's right for customers. Thank you very  
11 much.

12 CHAIRMAN BAY: Thank you, Cheryl.

13 COMMISSIONER CLARK: Thank you Mr. Chairman and  
14 thanks to everyone for being here this afternoon and for  
15 tomorrow when we continue our discussion. One of the  
16 challenges it seems of putting this together was attempting  
17 to create some sort of structure so that the Commission  
18 could gather some information that then we could act upon.  
19 One of the things that's challenging about Order One  
20 Thousand is that it's such a big topic that if there isn't  
21 some focus brought to exactly the questions that we are  
22 trying to ask, that it could just be sort of a two-day gripe  
23 session about what's working and I like this part of it and  
24 I don't like this part of it.

25 We need to have a little more focus than that.

1 So the way the Commission, the Staff has laid this out I  
2 think makes a lot of sense. Broadly speaking, the way I  
3 would group and categorize the topics that we're going to be  
4 dealing with over the next couple days, there is a, the  
5 first two panels have a sort of natural affinity towards  
6 these other, which is a fairly discreet question about this  
7 issue of cost-containment measures and cost containment  
8 caps.

9           This is something that has come up in a number of  
10 proceedings in a number of different venues that have come  
11 before the Commission both discreet filings as well as some  
12 petition has dealt with. So this tees up a rather specific  
13 question with regard to cost-containment measures and  
14 transmission incentives and how all of these things work  
15 together. With regard to that, what I'll be looking for in  
16 particular, and I'd ask the panelists to see if you can  
17 address this specifically, is to answer the question of how  
18 prescriptive the commission should be in the laying out how  
19 cost-containment measures and transmission incentives might  
20 work.

21           The reason that I tee up that particular question  
22 is this: The question becomes does the Commission give  
23 stakeholders the book and say if you're going to do  
24 transmission incentives and cost-containment measures, this  
25 is how they're to be done. Or is it a little but more

1 generic than that where the Commission looks at it in terms  
2 of here the four corners of the things that we will probably  
3 be looking at but doesn't specifically lay out how some of  
4 these measures will take effect.

5           In other words, how much latitude do we give the  
6 industry, understanding there could be a trade-off between  
7 certainty and the benefit of letting a number of ideas  
8 bloom. So I will be looking at that and secondly  
9 identifying areas where traditional rate-making principals  
10 may need to be tweaked in order to accommodate some of these  
11 things that we see coming forth through the regional  
12 processes. I have run into very few people who say  
13 cost-containment measures are a bad thing. Rather it's "If  
14 we're going to do it, how do we make it work in a way that  
15 meshes with Commission precedent and the rules that we have  
16 on the books.

17           Panels, the last few panels that we have  
18 especially tomorrow, deal a little bit more with  
19 interregional planning and regional planning. These are a  
20 little bit more general in terms of what I would classify as  
21 a little but more of a diagnostic checkup in terms of how  
22 the Order One Thousand planning processes are working both  
23 inter-regionally and regionally.

24           We will hear more about that tomorrow but I think  
25 in the case of those panels what we're looking for is not so

1 much "is this particular model good, is that particular  
2 model good" but rather in terms of "it is good for  
3 incumbents, non-incumbents, public power, so on and so  
4 forth" but really analyzing it through the lens of FERC's  
5 mandate, which is just and reasonable rates and which is  
6 broadly defined as "are consumers getting a good deal but is  
7 it being done in such a way that the public interest is  
8 protected such that we have viable utility companies who are  
9 able to make a business model of this process the Commission  
10 has set up.

11 So, some big topics. Obviously it's a group of  
12 topics that has a lot of interest and I'm looking forward to  
13 the next few days, thanks.

14 CHAIRMAN BAY: Thank you Tony, Colette?

15 COMMISSIONER HONORABLE: Thank you, Mr. Chairman.  
16 Good afternoon. FERC really knows how to throw a party.

17 (Laughter)

18 And I feel right at home with my colleagues Tony  
19 and Cheryl wearing our Southern fare and seersucker. Thank  
20 you for reminding me about what's so wonderful about the  
21 South. I too would like to welcome all of you to this  
22 Competitive Transmission Development Technical Conference.  
23 Some of you have been referring to it as the Order One  
24 Thousand Technical Conference but I really see it as broader  
25 focus than that. Certainly with Order One



1 Thousand the Commission has set a great number of processes  
2 into motion. Now, nearly all of the compliance stylings  
3 have been approved and we really are starting to see the  
4 processes taking shape and I think we can see the road ahead  
5 in some ways. I also think this is an opportunity in time  
6 to stop and listen to you and to learn what's happening in  
7 the real world and this is a great opportunity to do that.  
8 I'd like to thank our staff that you guys have done an  
9 incredible job, not only with I was mentioning the days  
10 before we began addressing the stylings and the substance at  
11 work but also to aide us in preparing for biting off almost  
12 more than we can chew with two days of incredible dialog.  
13 I'm really looking forward to it.

14 I really have benefitted greatly from speaking  
15 with a number of stakeholders during my tenure here and  
16 hearing from you regarding a number of issues concerning  
17 Order One Thousand and competitive transmission development.  
18 I'm particularly interested in a few areas. One is whether  
19 the Commission should provide additional guidance regarding  
20 the interplay between cost-containment measures such as cost  
21 caps and incentives. Are these things coordinated? Should  
22 the Commission provide more guidance there?

23 Some of you are aware I'm very, very interested  
24 in what's happening with regard to interregional  
25 coordination and the effort to develop projects that address

1 and provide value and relieve congestion along seams between  
2 regions. This is a particularly thorny issue for us but it  
3 is one that we must focus on and tackle together. I know  
4 that a number of you think that this look may be a bit  
5 premature but because of some concerns I heard from a number  
6 of stakeholders, I think there is no better time than the  
7 present to analyze if there are issues that we need to  
8 correct. There is no better time than the present to do  
9 that.

10 I continue to be interested and concerned about  
11 seams in modeling issues, harkening back to my days as a  
12 state regulator and also of course regional planning and  
13 cost allocation processes and also how the processes are  
14 working at the regional level. It is imperative that our  
15 policies help to achieve the right projects, in the right  
16 places and at the right costs. We need to make sure that of  
17 course that we are fulfilling the reliability, economic and  
18 public policy needs of transmission and especially ensuring  
19 that we are not over burdening consumers who ultimately bear  
20 the cost of these projects.

21 Most of all I want our efforts to support the  
22 build-out of the infrastructure that we so desperately need  
23 to address the dynamically changing landscape as we are  
24 looking at ways in which energy is generated and consumed so  
25 different than even 5 or ten years ago. With that, I look

1 forward to hearing from all of our Panelists and Mr.  
2 Chairman I should mention that because we are talking about  
3 Order One Thousand, I'm almost at one thousand Twitter  
4 followers, so I know there is one or two of you out there  
5 that has not looked me up and it's chonorableFERC. I think  
6 I may get to one thousand today.

7 (Laughter) With that, thank you all for being  
8 here.

9 CHAIRMAN BAY: Thank you Colette. Just one quick  
10 announcement, there are some seats open in the front row so  
11 for people who are standing in the back, please feel free to  
12 come forward and to take one of the seats. In addition, we  
13 have opened up hearing Room 1, so that can accommodate many  
14 additional people. With that, let's start with our first  
15 panel Cost Containment Provisions and Competitive  
16 Transmission Development Processes. Each Panelist is  
17 supposed to make opening remarks within two minutes I  
18 believe, is that right David?

19 MR. TOBENKIN: Yes.

20 CHAIRMAN BAY: We will start with Craig Glazer  
21 from PJM. Thank you Craig.

22 MR. GLAZER: Mr. Chairman and Commissioners, I  
23 have to start with a true confession. I'm not sure how I  
24 drew this card to open this. I never won a lottery ticket  
25 in my life, I've never had one pay off but somehow I drew

1 this card, so --

2 CHAIRMAN BAY: It's your day, Craig.

3 (Laughter)

4 MR. GLAZER: I am honored and but given that I'm  
5 going to actually start this whole conference off with  
6 something a little bit different because the author Stephen  
7 Covey, in his words in his book "The Seven Habits of Highly  
8 Effective People" reminds us that, using his words, the main  
9 thing is to keep the main thing the main thing. Our message  
10 today, quite frankly, at least from PJM is that that's part  
11 of what we all need to do, to keep our eye on the prize.  
12 Mainly bringing competitive forces to the planning process  
13 to spur innovation and competitive costs of new  
14 transmission.

15 I say that because at the end of the day the P in  
16 planning still has to stand for planning. We can't lose  
17 sight of the need to continually get the job done of  
18 upgrading the transmission system efficiently and timely. I  
19 know we are all committed to that, but as a corollary to  
20 that, the P in planning, the letter L in planning shouldn't  
21 stand for litigation. Because quite frankly my biggest fear  
22 is if it does the L word will rapidly subsume the P word in  
23 planning. I have just been thinking letters this week.

24 We at PJM have gone all in on Order One Thousand.  
25 We've had six different proposal windows, received over four

1 hundred proposals for evaluation and the good news is we've  
2 gotten some really innovative proposals. We've awarded one  
3 of the largest projects to a non-incumbent, taken a  
4 recommendation to the board on another one soon and have  
5 seen a lot of good innovation with that. We're better for  
6 that process so I thank you and the staff for that.

7           But we've also seen, frankly, the L word  
8 beginning to creep in and starting to overwhelm the best of  
9 the process, a lot of paper-chasing on small projects that  
10 really aren't paying benefits as well as this sort of my  
11 fear that we are so documenting the process and tariffs that  
12 it may become a compliance trap for all of us that we can't  
13 get ourselves out of.

14           Let me just quickly go to cost caps because cost  
15 caps are essentially challenging. Commission Clark, you  
16 said "I've never seen anybody that doesn't like a cost cap".  
17 I agree. Cost caps are great. When I was a State  
18 Commissioner, we loved cost caps. But what is a cost cap?  
19 In essence, it's an alternative allocation of risk between  
20 the investor and the rate payer. That in essence is what it  
21 is. That's also the good part of it but also the problem.  
22 I say in my testimony we are kind of at the ragged edge  
23 where planning and regulation meet each other because  
24 something about cost caps, dealing with what are just and  
25 reasonable rates.

1           It's something where due process rights of load,  
2 to be able to come in and comment mean a whole lot. So I  
3 will close by saying my request to all of you, all of us is  
4 that we all have to be cognizant of each other's mission as  
5 we move forward, our best expertise, who has what expertise  
6 and responsibility as we maneuver through these unchartered  
7 waters. I tried to lay out some ideas in my testimony of  
8 things we could do as we in Stephen Covey's words, all of us  
9 together "search for the main thing" I look forward to your  
10 questions.

11           MS. HANEMANN: Thank you. It's a pleasure to be  
12 here today. My name is Kim Hanemann. I'm the Senior Vice  
13 President at PSE&G. I'm responsible for managing all  
14 aspects of PSE&G's transmission portfolio including  
15 construction, permitting, operations and maintenance. My  
16 comments here I'll deliver today are a summary of my written  
17 comments. First point I'd like to make, PSE&G does not view  
18 Order One Thousand right now as improving the transmission  
19 planning process or bringing value to our customers.

20           We encourage the Commission to take a hard look  
21 to evaluate whether the rule has delivered its intended  
22 benefits. Sound transmission planning requires  
23 consideration in many factors besides just the initial  
24 construction costs. Projects with the greatest overall  
25 value may be more expensive in the short term but they might

1 provide other ancillary benefits as reducing congestions and  
2 replacement of aging infrastructure. Simply put, the  
3 project with the lowest bid cost is not necessarily the best  
4 project or value for our customers.

5           The second point has to deal around with the  
6 skill sets of the RTOs. While our RTOs are strong engineers  
7 and planners, they don't currently possess at the required  
8 skill sets to adequately administer the Order One Thousand  
9 open window process. Knowledge of commercial practices,  
10 environmental permitting requirements, local regulations,  
11 equipment procurement practices and construction cost  
12 estimating are all required. Currently the RTOs don't have  
13 adequate proficiency or resources in those areas.

14           Third area is around cost containment. We  
15 believe cost-containment provisions are of limited value.  
16 Reputable developers already have cost-containment measures  
17 in place through their internal project execution processes  
18 and have a track record to demonstrate whether they can  
19 deliver projects on budget. In addition, you have the  
20 existing prudence review process at FERC.

21           Further, when cost-containment provisions are  
22 included in the evaluation process, right now they seem to  
23 get over-valued creating a situation where more important  
24 considerations receive insufficient weight, like the overall  
25 project costs including all the inner connections like the

1 long-term value of the project and the developers ability to  
2 permit and construct in the required timeframe.

3           There is also many practical issues around the  
4 cost-containment provisions that limit what theoretical  
5 value they may have. Cost caps typically have exclusions  
6 such as changes in laws and regulations or TO directed  
7 changes and importantly the ultimate meaning and effect of  
8 such caps will be determined in the context of a dispute and  
9 ensuing litigation. (Your L word). If the Commission  
10 believes that some form of construction cost caps should be  
11 included, then FERC should provide guidance on how these  
12 caps will be enforced and require the RTOs have clear  
13 guidelines for evaluating them.

14           Plans should include development of clearly  
15 understood and judicially recognized cost-containment  
16 provisions for use by all bidders. These provisions should  
17 be predictable, commercially reasonable and enforceable.  
18 Thank you for your time.

19           MR. IVANCOVICH: Chairman Bay, all the  
20 Commissioners, my name is Anthony Ivancovich. I'm the  
21 Deputy General Counsel for the California ISO. I appreciate  
22 being given the opportunity today to come and discuss the  
23 ISO's competitive solicitation model. To date, we have  
24 completed nine competitive solicitations and we've dealt  
25 with a host of cost containment issues. Our tariff sets



1     forth the standard and the criteria that we apply to select  
2     and approve project sponsor.

3             For each competitive solicitation we identify  
4     what we believe at the key selection criteria for that  
5     particular solicitation. Under our tariff, cost-containment  
6     is required to be a key selection factor for every  
7     solicitation and it is. However it is not the only relevant  
8     consideration. All criteria in our tariff are relevant and  
9     we must consider the totality of all the facts. The ISO  
10    acknowledges that concerns have been raised nationwide about  
11    the ability of planning regions to objectively and  
12    transparently evaluate dissimilar proposals.

13            We believe it's critical to instill confidence in  
14    the selection process. However, based on our experience,  
15    imposing predetermined weights, mathematical formulas and  
16    simplistic rules is not the answer. That can embed  
17    arbitrariness into the process, it can dictate inappropriate  
18    project sponsor selection decisions. Nor should least  
19    project cost be the sole driver of decision-making. That  
20    would inappropriately devalue or ignore other factors.

21            Our experience shoes that cost containment takes  
22    a variety of great diversity in form and substance. The  
23    proposal with the lowest construction cap may not even be  
24    the best proposal from a cost perspective. Least cost does  
25    not mean cost-effective, it does not mean least risk and

1 upon closer examination, it may not even mean least cost for  
2 the life of the project. We believe that hardwiring  
3 cookie-cutter rules under these circumstances is  
4 inappropriate.

5           Planning regions should be able to holistically  
6 look at all of the facts and evaluate and compare proposals  
7 based on their merits and the specific needs of each  
8 project. In return, the Commission should hold planning  
9 regions accountable for following their tariffs, for running  
10 fair and transparent processes, for fully explaining the  
11 reasons for their decisions and the role of each of the  
12 selection criteria and basing their decisions on meaningful  
13 differences between projects. We believe that will increase  
14 transparency and allow participants to better understand why  
15 decisions were made in the end and instill greater  
16 confidence in the process. Thank you.

17           PRESIDENT MROZ: Mr. Chairman and Members of the  
18 FERC. It's good to see you all and thank you for having me  
19 today. When I was appointed to be the President of the  
20 Board of Public Utilities in New Jersey in 2014 I did  
21 something that some might not think to do, but I pulled out  
22 the statutes just to take a look and remind myself of what  
23 my duties were. What my responsibilities and obligations  
24 were so that I could remind myself but also just to remind  
25 what other audiences I took up the position.

1           It is, as you know, a role where we need to  
2 balance often inconsistent interests or decisions or  
3 requests. The financial viability of the companies who  
4 regulate safety and soundness of the systems, the planning  
5 in our state, the energy policy planning function and  
6 ensuring reliable service. All at just and reasonable  
7 rates. This balancing is what we do every day and at the  
8 end of the day, I need to make sure as I know you do in your  
9 role, to make sure that when you make decisions at the end  
10 of the day, the impact, the rate impact is what has been  
11 taken into account.

12           If for no other reason, at least for me,  
13 oftentimes when there is a rate impact, I'm the first person  
14 that gets the phone call from the rate payer or in many  
15 occasions from political figures that are calling on behalf  
16 of their constituents. So at the end of any process, I need  
17 to make sure that the decisions were made with consideration  
18 of cost because it will impact rates and therefore I need to  
19 be assured that those decisions were made and that the cost  
20 was appropriate or just and reasonable.

21           Now I come from a marketplace that's a  
22 deregulated marketplace so we don't have a direct role over  
23 transmission or generation, but I still have a very  
24 important role and our Board is very active in these issues.  
25 Whether it's focusing on an oversight of the activities of

1 the planning, of the delivery of projects, the engineering,  
2 we need to know that they are being delivered in an  
3 appropriate manner. That's the role where I come in, in my  
4 Commission that I need to do.

5 I'm concerned from matters that we're involved in  
6 that cost is not appropriately focused upon, not just in any  
7 particular procedure. In fact, the term cost containment as  
8 I think you already know and most acknowledge is really a  
9 tactic for procedure. For my mind, what really needs to be  
10 done and maybe to refer to what Craig Glazer said, the prize  
11 here is to make sure that there is a sense of  
12 cost-consciousness throughout the process. Not just  
13 cost-containment in the procedures although that is a very  
14 important and I think required element.

15 So that sense of cost-consciousness is what  
16 drives me and what I think should drive the process for  
17 everyone, the developers, the RTOs, the companies that are  
18 involved and us as regulators. Now the methods that we can  
19 employ include elements and procedures that bring about  
20 effective competition that keep cost-consciousness in check  
21 and contain costs. So I know you want some specific  
22 suggestions and I have a few from both my role as the  
23 President of the Board of Public Utilities but my years  
24 having worked in engineering, working with companies that  
25 were developers and the construction industry.

1           So procedures such as having RFPs, they need to  
2 be specific and have informed cost estimates, not just what  
3 are referred to in the industry as "office estimates". The  
4 scope of work should be drafted in a manner that invites  
5 responses with engineering and permitting details and  
6 calculations. The scope of work should also provide the  
7 latitude to determine the scope of the project and then a  
8 selection criteria could be drafted.

9           Some RTOs have even looked at the use of a  
10 two-step process for the planning and scoping of projects  
11 and then the delivery of the projects. I've also seen that  
12 some of the RTOs suggest that they don't have sufficient  
13 resources to provide the technical expertise. In my mind,  
14 they could and should whether it be on staff or to have  
15 third party consultants as consultants or an extension staff  
16 as the engineers would refer.

17           There are a number of procedures that we can use  
18 to continue to ensure that cost consciousness is in place  
19 across the board and it meets the spirit of Order One  
20 Thousand as FERC had hoped. Thank you.

21           MS. SEGNER: Chairman and Commissioners, LS Power  
22 appreciates the opportunity to participate on the panel and  
23 provide our views on the state of the Order One Thousand  
24 process. LS Power actively participates in planning  
25 processes all over the United States and we are involved in

1 the majority if not all of the regions across the United  
2 States. In implementing Order One Thousand as you know, the  
3 Commission allowed each region to devise its own competitive  
4 solicitation process and as you scan the country, the  
5 country has many different competitive models, ranging from  
6 a competitive process in California to a sponsorship model  
7 in New England and PJM in New York and a hybrid model in SPP  
8 which has bonus points for sponsoring a project, and a put  
9 competitive process in California in MISO.

10           There's been a learning curve for sure in each of  
11 the different regions to be expected but one thing is very  
12 clear from the last few years of experience and the one  
13 thing that is very clear is that the qualification process  
14 in each of the regions has been a success and what you had  
15 is in each of the regions, highly qualified participants.  
16 Formidable energy companies stand ready to compete for  
17 projects. Pre Order One Thousand there were fears that "two  
18 men and a laptop" would line up and try to compete for  
19 complex transmission projects that they were not qualified  
20 for but the qualification process in Order One Thousand has  
21 been a striking and significant success in that formidable  
22 energy companies stand ready in each of the regions and they  
23 are qualified and ready to compete.

24           With this foundation of qualification, because  
25 this is what you have in each region of the country, this is

1 now the appropriate point to address the issue of  
2 cost-containment because the backdrop of this discussion is  
3 that in each of these regions you have highly qualified  
4 entities ready to compete for the customers and for the rate  
5 payers and for the various projects. That is the point in  
6 the backdrop that we now stand in the context of this  
7 discussion.

8           There are many critics as you know who will say  
9 that the Commission's policies of the last two years have  
10 not worked. We would say there haven't been enough projects  
11 that have gone out for bid in the various regions. Most of  
12 the regions across the country whether it's ISO New England,  
13 MISO NTTG, New York, West Connect and others have yet to  
14 complete their first Order One Thousand process. In stark  
15 contrast in PJM in California there have been many windows  
16 and they are rapidly and have done very well in implementing  
17 Order One Thousand.

18           So one action item is to address most of all the  
19 various and stark differences across the country and how  
20 Order One Thousand has been implemented and the number of  
21 proposal windows. So first of all you have qualified  
22 entities across the country that are ready to compete, in  
23 our view not enough competitive windows in many parts of the  
24 country and PJM in California have done, in our view, very  
25 well and where now the cost-containment issue is front and

1 center of those regions because there are so many windows.

2           We would say a starting point for addressing  
3 cost-containment issues and cost-containment projects is  
4 looking at market efficiency projects in terms of getting  
5 the policy right there. The very basis of a market  
6 efficiency project is to relieve economic congestion and so  
7 in terms of where cost and cost caps should be significantly  
8 weighted in our view it clearly should be significantly  
9 focused and significantly weighted in market efficiency  
10 projects because that is the very definition of why a market  
11 efficiency project exists.

12           We definitely have seen some examples in some of  
13 the regions today where cost-containment and cost caps have  
14 been proposed in various regions, associated with market  
15 efficiency projects and in our view there's been inadequate  
16 focus on market efficiency and cost caps. Lastly, we would  
17 say that we do not support at this juncture efforts to  
18 standardize cost-containment and innovative rate structures.  
19 We think that cost-containment proposals will vary from  
20 region to region and from project to project because  
21 different projects truly are different and there's different  
22 types of project development risk.

23           We would be very cautious and weary of policies  
24 that would standardize cost caps across the board for this  
25 regard. That in turn though we would say that over time



1 these issues will be addressed in terms of different forms  
2 of cost-caps. The Commission at this juncture should not  
3 standardize the types of proposals that entities can  
4 propose. The market is still evolving.

5           However in closing, we would say that once these  
6 terms and conditions are finalized and the various cost caps  
7 are proposed and the terms and conditions are finalized with  
8 the electing condition, the binding terms and conditions in  
9 a cost cap absolutely should be an integral part of entity's  
10 ultimate work/rate case as well as the designated entity  
11 agreement or ultimate awarding agreement as well. We  
12 understand that cost caps are absolutely legally binding  
13 terms and conditions, thank you.

14           MR. SHEEHAN: Good afternoon. On behalf of  
15 NextEra Energy transmission, I thank the Commission for the  
16 opportunity to speak before you here today and participate  
17 on this panel. The Commission eliminated the right of first  
18 refusals from tariffs so that transmission competition would  
19 lead to customer benefits including greater innovation and  
20 cost savings. Cost caps benefit customers through cost  
21 savings and certainty. Shifting the risk of cost overruns  
22 from customers to the developers equity shareholders.

23           In KSO and PJM, NextEra Energy Transmission and  
24 other non-incumbent developers have been selected in the  
25 competitive process in large part because of the

1 cost-containment commitments in their bids. In implementing  
2 Order One Thousand, a few RTOs recognize the significance of  
3 cost containment in evaluating bids by including language in  
4 their tariffs and pro forma developer agreements with  
5 respect to the use of cost caps by developers. But overall  
6 in our experience most RTOs do not give sufficient weight to  
7 cost containment in these evaluations commensurate with the  
8 value it provides to customers.

9           NET recommends that RTOs use a transparent  
10 scoring system based on benefits provided in each proposal  
11 that reflect the adequate weighting for cost factors. Such  
12 scoring systems and methodologies are needed so that RTOs  
13 will fairly evaluate the relative benefits of competing  
14 proposals and meet the objectives of Order One Thousand.

15           Finally, NextEra Energy Transmission believes  
16 that RTOs should not define in advance which categories of  
17 cost are covered or not covered by binding cost-contained  
18 bids. Consistent with Order One Thousand's goals of  
19 fostering innovation in the transmission, development  
20 sector, bidders should be allowed to submit cost-contained  
21 bids reflecting the risk tolerance in various elements of  
22 transmission development. I thank you for allowing me to  
23 participate today and I welcome the further discussion on  
24 this topic.

25           MR. SMYTH: On behalf of Transource Energy,

1 American Electric Power and Great Plains Energy, I'd like to  
2 thank the commission for allowing me to be here to speak  
3 today. Transcourse was formed in 2012 specifically to  
4 compete for projects in the Order One Thousand space and  
5 we've been active in virtually all of the planning regions  
6 in the U.S. as well as the competitive processes in Alberta,  
7 Canada as well so we bring to the table some real world  
8 experience and hope to share that with you today.

9           We commend the Commission for implementing  
10 competitive developer reforms via the Order One Thousand  
11 rule-making. Competition for transmission development  
12 opportunities can and will result in significant benefits to  
13 customers. As an active, non-incumbent participant in the  
14 post Order One Thousand competitive solicitation process, we  
15 have gained perspective on which competitive dynamics are  
16 likely to maximize consumer benefits in a manner that's  
17 workable for developers, planning regions and the  
18 Commission.

19           Based upon our broad real-world experience to  
20 date, customer benefits are maximized to the sponsorship  
21 model such as that employed by PJM as compared to a  
22 competitive solicitation model for financial bidding. By  
23 encouraging developers to tap into their design experience  
24 and ingenuity to craft innovative solutions to an identified  
25 problem, the sponsorship model fosters a more creative

1 competitive environment that will produce and efficient 21st  
2 century transmission grid.

3           While cost estimates and cost-containment are  
4 among the many factors considered in the sponsorship model,  
5 featuring cost containment as the deciding factor where  
6 project construction begins two to three years from project  
7 award creates an environment where little to no  
8 consideration of the increased risk of project execution is  
9 given. The savings from picking the right project under the  
10 sponsorship model are much larger than the potential savings  
11 from picking the cheapest developer for a single project and  
12 a bid-based competitive model.

13           While cost containment or fixed revenue  
14 requirements bids would seem to benefit consumers, each  
15 approach is fraught with challenging issues that may  
16 actually ultimately increase cost to customers. For  
17 example, the level of risk undertaken by developers with  
18 state processes and permitting challenges can create  
19 instances where customers may be worse off if projects are  
20 abandoned or otherwise financially injured. In addition,  
21 Order One Thousand did not change the regulated nature of  
22 transmission as it costs the service business.

23           Cost-containment still utilizes the cost of  
24 service framework where developers are able to recover the  
25 lower of their capped expenditure or their actual cost.

1 Cost containment ultimately shifts risks to investors and  
2 will ultimately result in driving up both the cost of equity  
3 and the cost of debt for projects. It's not clear whether  
4 consumers are left in a better position as a result thereof.

5 Further, fixed revenue requirement bidding is  
6 market-based and does not result in a cost-based rate and  
7 it's not clear that the level of competition is sufficient  
8 to produce just and reasonable rates. It is also unclear  
9 how a fixed revenue requirement bid would impact the rights  
10 of developers and customers under Sections 205 and 206 of  
11 the Federal Power Act. Voluntary cost containment as  
12 opposed to revenue requirement bidding seems much more  
13 manageable within the current competitive frameworks  
14 approved by the Commission under Order One Thousand.

15 In short, we believe that the sponsorship model  
16 offers the best opportunity to harness the benefits of  
17 competition for consumers. While cost containment may play  
18 a role in parallel with a sponsorship model, it should be  
19 among the many factors considered by the planning region.  
20 Regions should account for the limitations associated with  
21 both cost estimates and cost containment commitments made by  
22 developers for projects that are inherently 2-3 years from  
23 actual construction.

24 The Commission should continue to take a balanced  
25 and long-term view of these markets and continue to explore

1 these and other issues raised by competitive transmission  
2 development efforts and adapt in its rate incentive policies  
3 to this new competitive model with guidance and feedback  
4 from stakeholders. Thank you.

5 MR. WILLIAMS: Mr. Chairman, Commissioners and  
6 staff, I am the GridLiance Senior Vice President of  
7 Engineering and operations and their chief operating  
8 officer. I want to thank you for the opportunity to provide  
9 GridLiance's views on Order One Thousand competitive  
10 transmission development processes based on our experience  
11 as an independent transmission-only company focused on  
12 addressing public powers and cooperative powers and desire  
13 for RTO investment opportunities.

14 Our operating companies and partners intend to  
15 compete to construct transmission projects in SPP, MISO and  
16 PJM. The goal of competitive transmission development  
17 processes should be to maximize the value to rate-bearers.  
18 To reach that goal this process, like any procurement  
19 process, must rely upon transparency, integrity and a  
20 practical and reasonable cost of participation. Companies  
21 that participate in the process must be confident that they  
22 will be treated fairly when bidding on a project.

23 By promoting competition through transparent  
24 solicitations, evaluations and award decisions, RTOs will  
25 build trust with stakeholders and develop healthy developer

1 pools that perpetuate the cycle of robust competition that  
2 delivers the best value to rate-bearers. Recent RTO RFPs  
3 have demonstrated competitive transmission processes have  
4 the potential to provide tremendous value to rate-bearers.  
5 However, in our experience current RTO rules allow the RTOs  
6 too much arbitrary indiscretion in regard to qualified low  
7 bids.

8           In select higher-cost options with no  
9 corresponding benefits to rate-bearers. These and other  
10 barriers to full participation in the RTO competitive  
11 processes need to be eliminated, otherwise competitive  
12 entrants like GridLiance will likely limit their  
13 participation to the RTORPs where they will be treated  
14 fairly. In reasons where competitive RFP processes are used  
15 we would submit the following procedural reforms are needed  
16 to ensure maximum rate-bearer benefit.

17           First, cost and associated binding cost  
18 containment mechanism should be a deciding factor in the bid  
19 evaluation processes. Second, RFPs should incorporate as  
20 much as possible in the prequalification processes and limit  
21 the bid itself to actual engineering design and cost aspects  
22 of the projects such as the bid proposals are scored only on  
23 project-specific criteria that was not addressed in the  
24 pre-qualification process. Third, we believe the Commission  
25 should issue a policy statement adopting a set of uniform

1 best-practices for RTO competitive solicitation processes  
2 for determining whether there can be a rebuttal presumption  
3 that the rate outcomes from a given RTO solicitation are  
4 just and reasonable.

5           A detailed description of our proposal for  
6 uniform best practices included in our preconference  
7 comments and just to close I'd like to remind the folks on  
8 the Panel here that our view is Order One Thousand was  
9 really about just and reasonable rates. So cost really does  
10 matter so having cost-containment or looking at cost as a  
11 major factor is important in determining whether or not we  
12 are providing just and reasonable service to consumers.  
13 That concludes my remarks and I look forward to our  
14 discussion.

15           CHAIRMAN BAY: Thank you. I want to thank all of  
16 our panelists for your comments today. I think a key  
17 question for all of us is regarding cost containment  
18 provisions is how some regions can perform an  
19 apples-to-apples comparison of proposals given that some  
20 will contain cost-containment provisions and others will not  
21 and even those proposals that contain cost-caps may vary in  
22 terms of what's included and what's not included. So, and  
23 this is really reflecting a comment that Tony and Collette  
24 made, but is there a need for more structure or uniformity  
25 with respect to cost containment and I know some of you



1 already weighed in on that regard but I'd be interested in  
2 hearing your views with respect to that question.

3 MR. GLAZER: Mr. Chairman, I think you put your  
4 finger on it. It is a very difficult area for us but the  
5 bigger problem than just the doing the comparison is to me  
6 there is a giant "who decides" question and I really feel  
7 that cost caps in many cases have a regulatory element to  
8 them. At the end of the day, that choosing is really  
9 setting rates, effectively setting what we are saying is an  
10 acceptable level of cost that the customer ought to pay.

11 Yes, there could be a process afterwards and then  
12 a rate case but you know, effectively you are setting RTO in  
13 discussion or in a bid is setting rates, that's a funny  
14 place for us to be and I think it's not just a question of  
15 difficulty but a question of what's the right role for us  
16 versus a regulatory body to be honest. Some cases it's  
17 easy; cost caps are not the factor but in those cases where  
18 it's close then effectively we're setting rates at that  
19 point and that's what makes us nervous. I think on those we  
20 suggested a process to be able to come to you all to sort of  
21 certify that question to you all if we've got two competing  
22 proposals, if they're not close -- an easier situation.

23 CHAIRMAN BAY: Thank you Craig. Anyone else?

24 MR. IVANCOVICH: For starters, I think you know,  
25 in the California ISO the days of evaluating proposals with

1 no cost caps versus those with cost caps is probably over.  
2 In our last competitive solicitation every project sponsor  
3 proposed a cost cap and the one before that all but one  
4 proposed a cost cap and the one that didn't was really not  
5 cost competitive. We work very closely with an expert  
6 consulting firm to evaluate cost. We basically put together  
7 an illustrative revenue requirements for all of the project  
8 sponsors, taking into account what's capped, what's not  
9 capped.

10 We run a multitude of scenarios and sensitivity  
11 studies to assess the various risks and differences. At the  
12 end of the day they say you can't really just look at  
13 simplistic formulas, cap levels very dramatically. The  
14 number of outs number dramatically and the scope of those  
15 outs, it's not just we have an out for force majeure. We've  
16 seen outs that include every cost beyond our control. We  
17 have an out for that.

18 Now, obviously that begs the question, what's the  
19 value of that cost cap? But it really runs the whole gamut.  
20 Folks even condition their outs. There's also a big  
21 difference in the number of items being capped. I mean,  
22 it's not just construction costs. It could be return on  
23 equity, it could be debt, it could be O&M for a limited  
24 term. It may or may not include inflation. It may or may  
25 not include AFUDC. Another factor I think you've got to

1 look at I think is the sort of inherent cost characteristics  
2 of projects. They are not always the same.

3 Sometimes folks will have existing right-of-way  
4 that they could use. Others may have existing power  
5 positions that they could use. Others may be proposing to  
6 underground a proposal as opposed to overheading it which  
7 could increase costs. I think the message I want to convey  
8 is that there really is no simple answer to doing this. It  
9 depends on the specific facts of the case and really getting  
10 down there and evaluating the differences between sponsors,  
11 what's the relevance in those differences, what's the  
12 significance and how much risk do they present?

13 MS. SEGNER: Two points. First of all, our view  
14 would be that yes, the regions need to develop the adequate  
15 capabilities to evaluate the cost cap proposals whether or  
16 not it's the financial, the legal, the resources to evaluate  
17 the capabilities whether it's in house or externally. The  
18 reason these capabilities need to be developed and why it's  
19 important, it's because at the end of the day the cost caps  
20 is what could bring significant consumer value and part of  
21 the reason that the Rover was removed in the first place in  
22 Order One Thousand was that there could be value to the  
23 consumers at just and reasonable rates. So building the  
24 capabilities, yes -- it will take some time. It will take  
25 some effort by the regions but in our view it's a very

1 worthwhile function because building the capabilities  
2 relating to cost caps is what can bring this ratepayer  
3 savings home.

4           Secondly I would say that there are some good  
5 examples from Nesco in their filed comments as it related to  
6 cost caps. Nesco referred to their recent clean energy RFP  
7 that was issued in New England and in that clean energy RFP  
8 they stated that proposals including cost containment  
9 features such as fixed price components, cost overruns or  
10 other cost bandwidths to limit customer risk will be viewed  
11 more favorably. Essentially they use that as a general  
12 policy statement as folks could take into account when they  
13 were putting their bids together in the Clean Energy RFP and  
14 there could be some very good policy statement precedence  
15 that the Commission should also consider in terms of what  
16 Nesco has proposed in New England. Thank you.

17           CHAIRMAN BAY: Thank you.

18           ANTONIO SMYTH: Yes, thank you. I thought it was  
19 maybe a good time to talk about some of the real world  
20 experience that we've had when we talk to difference vendors  
21 and contractors when we go to negotiate and put forth a cost  
22 cap. We've observed a very inefficient distribution of  
23 risks that have ultimately driven the cost of projects up.  
24 So for example we will encounter in discussions with  
25 contractors that they will not want to take the rock risk on

1 foundations when they are drilling and that will result  
2 ultimately because since we don't have cost assistance, we  
3 don't have site control. That will result in a contractor  
4 pricing in 100 percent of rock in the foundations when in  
5 reality that's probably not realistic when you go to build  
6 the project.

7 But again, they'll come back to us and say "well,  
8 you don't have the route so we can't, you know tell you that  
9 we're going to be safe on this. So we've actually seen some  
10 inefficiencies in creating these cost caps. Before we got  
11 to the point where we talk about these and you know  
12 implement them in the regions. I think we need to have the  
13 conversation about whether or not they're having the desired  
14 effect one layer removed from the acheoprocesses.

15 CHAIRMAN BAY: Thank you. Kim.

16 MS. HANEMANN: You can see right now most  
17 developers basically are feeling that they have to put in  
18 cost caps to have their proposal to be in the mix for  
19 consideration. You know, one of the things that I've said  
20 is there shouldn't be an overreliance on cost caps. You  
21 have to really analyze the project, the value of the  
22 project, the developer and the competencies. It's very  
23 complicated. Can you evaluate them? Are they economically  
24 reasonable, commercially reasonable and enforceable.

25 Like Antonio said, I equate it to my commercial

1 contracts with my contractors building these projects and  
2 you find out how good your contract is, how good your caps  
3 are is when you get into a dispute time with them and that's  
4 where it has to carry through. I make the same parallels  
5 with cost caps so people have to understand the commercial  
6 basis of it and how dispute resolution would occur as well.

7 CHAIRMAN BAY: Thank you. Rich.

8 MR. MROZ: Let me just make an observation and it  
9 reinforces something that I mentioned in my opening  
10 statement I think it's coming through in some of the  
11 comments that were just made. Talking about several  
12 different issues all at one time. The cost containment cost  
13 and a cost cap ultimately is something that probably needs  
14 to be considered at the end of the process for a project is  
15 the scope. What is the scope? What is the solution? And  
16 often, there are several different solutions that are being  
17 proposed.

18 I think it's incumbent upon a process to identify  
19 the scope first and then that leads to at a later point in  
20 time the issues in and around what the cost is to deliver  
21 the particular solution. That's something that can get lost  
22 in the process if we're just talking about any cost cap and  
23 not determining what the scope of the project is from the  
24 get-go.

25 CHAIRMAN BAY: Thank you. So one other question

1 I have is, oh, I'm sorry. Noman?

2 MR. WILLIAMS: Yes, I think a couple thoughts,  
3 cost cap, cost-containment really is whose going to take the  
4 risk you know, in an uncapped or in a standard process the  
5 ratepayer takes the risk and then the company has to  
6 determine whether that was just and reasonable. We do a  
7 cost cap, cost-contained and the bidder or the builder is  
8 taking the risk and there's lots of risks to building. I've  
9 built lots of transmission over my career, lost of unknowns,  
10 even when you know the route, even when you know who your  
11 contractor is you have risks for various things. So if the  
12 developer is willing to take that risk that brings value  
13 back to the consumer.

14 The other part, back to some of the comments I  
15 made earlier, looking for transparency in the bid process  
16 that we want to know how things are going to be treated. I  
17 think it's only fair that the RTOs can expect that when  
18 there is a cost-contained bid, cost cap bid that it is very  
19 transparent how that's applied, how it's measured and then  
20 how it's enforced and that the bidder should be willing to  
21 live by their containment language.

22 So it becomes a contract, so they're taking the  
23 risk and what risks they're not taking or they're laying off  
24 would be very clearly defined in the process and that way  
25 the RTO could determine with the various different ways

1 people are going to contain our cost cap bids, how those  
2 will lay together so I think it's coming on us when we say  
3 we want those opportunities and we don't want to have  
4 structure that we also explain how those cost-contained cost  
5 cap bids are to be applied. Thank you.

6 CHAIRMAN BAY: So I want to return to a comment  
7 that Craig made where you raised the risk of litigation.  
8 Certainly from my perspective I would not want Order One  
9 Thousand to create a cottage industry of litigation. I  
10 think that would not be a very good thing. So I'm curious  
11 to hear whether or not there is anything that FERC could be  
12 doing that could minimize the risk of collateral litigation.

13 MR. GLAZER: Great question Mr. Chairman. Here's  
14 one think that I'm concerned about is Order One Thousand is  
15 driving transparency, so it's driving us to put more and  
16 more things in our tariff. I get that. I understand the  
17 rationale for it. the problem is back to my P in planning,  
18 the problem is if you document every last aspect of how you  
19 make discretionary decisions, given the fact that this  
20 Commission's standard of review when it looks at a complaint  
21 is not "was the end result just as reasonable" was "did you  
22 follow your tariff?"

23 Well the tariff has such a level of specificity,  
24 it's a trip point. It's a trip point for the planners, it's  
25 a point where the planners almost at some point are going to



1 feel they have to have their lawyer next to them before they  
2 can make any decision and planning is as much an art as a  
3 science. So I think I would suggest one place perhaps is we  
4 all have to sort of step back when we are trying to find the  
5 balance between transparency and specificity in the tariff  
6 with not so much specificity that we've taken away the  
7 judgment and discretion part of planning.

8           You should be able to look at whatever we do, the  
9 term if it was just and reasonable but we document every  
10 last jot and tiddle of the process, that to me is creating  
11 the gotchas that we're all going to have to deal with.  
12 That's one suggestion.

13           MR. IVANKOVICH: Again the ISO has won nine  
14 competitive solicitations. We are very fortunate that we've  
15 not had any complaints filed against us. It's not that we  
16 don't think about that but at one point I want to get across  
17 this balancing the risk of litigation with embedding in your  
18 tariff rules that are going to lead to wrong decisions, you  
19 know a wrong decision that can be corrected by litigation is  
20 much better than a wrong decision that's embedded by in your  
21 tariff and can't be resolved by litigation because it's the  
22 final rate and again we think you know just echoing Craig,  
23 there needs to be a careful balance here and at the end of  
24 the day I think it's the planning regions like the ISO, like  
25 PJM that have to go out and instill confidence in the

1 process and be fully transparent, fully explain what we're  
2 doing and why and I think at the end of the day that will  
3 help cut down the litigation risk.

4 CHAIRMAN BAY: Thank you. Anyone else? Sharon?

5 MS. SEGNER: I think it's important for the  
6 Commission to consider as there's a discussion of litigation  
7 in terms of what really has happened over the last few years  
8 related to litigation. Yes, there was a complaint filed in  
9 PJM but the Commission dealt with it in three months.  
10 There's been very limited litigation and complaints filed to  
11 date on Order One Thousand processes/projects and yes  
12 there's been a lot going on related to the compliance  
13 filings on Order One Thousand but that's a natural part of  
14 tariff formation. But if you actually look at had there  
15 been a lot of complaints related to Order One Thousand  
16 projects, I think that you would see that's a very short  
17 list and the complaints were dealt with in three months.

18 CHAIRMAN BAY: Yes, Michael.

19 MR. SHEEHAN: I would say that it comments right  
20 on litigation but comments or controversy kind of become  
21 apparent in two different phases so in the competitive  
22 bidding model stakeholders inject and have comments about  
23 what is the project that should be built throughout the  
24 transparent stakeholder planning process. Then it goes out  
25 to bit and we've seen very few, no litigation at the end of

1 when the California ISO is selected an improved project  
2 sponsor at the end of the process. People can be upset about  
3 not being picked but the report is a transparent reflection  
4 of a comparative analysis by the California ISO.

5 That's not to say that all bidders said the  
6 project that got awarded should have been the project that's  
7 going to get built. As opposed to in the sponsorship model,  
8 we see the complaints happen in the selection process  
9 because it's which project should have been picked and then  
10 why was it picked and there's not transparency in that  
11 process so we look for instance, it's a two-pronged approach  
12 on the sponsorship model. It's the project and also the  
13 project sponsor as opposed to any competitive bidding model,  
14 it's more the project.

15 CHAIRMAN BAY: Alright, thank you. Kim?

16 MS. HANEMANN: Just a real quick. I bring it  
17 back to the goal of FERC One Thousand is to get transmission  
18 built. I've built hundreds of miles of transmission in the  
19 most densely populated state in the country and it's not an  
20 easy business. It's about getting it built, not about  
21 litigation. It should be transparency of rules and people  
22 know how you're going to evaluate the process going through  
23 and I think that will, if there's transparency and clear  
24 understanding of that RFP process and the evaluation  
25 process, then I think that will help in terms of reducing

1 litigation in the future.

2 CHAIRMAN BAY: Alright. Thank you. Cheryl?

3 COMMISSIONER LEFLEUR: Where to start. I think  
4 I'm going to start with the two different models of  
5 competitive transmission processes that we've seen. It's  
6 striking I think that the two regions, really the only two  
7 regions that have done a lot of successful windows so far;  
8 one has a sponsorship model -- PJM and one has the  
9 competitive bidding model. As I see with the sponsorship  
10 model certainly allows a more creativity and a broader range  
11 of proposals but perhaps a tougher selection process and  
12 harder to easily integrate some of these cost guarantees and  
13 so forth that we've talked about.

14 The competitive bidding is more structured. It's  
15 also very similar I think to what Alberta has done, more  
16 structured and easier to compare but perhaps loses some of  
17 that creativity. I'm interested, I think only one person  
18 really made a clear statement. Folks think that because we  
19 have all the other regions that haven't done this yet that  
20 might be looking at these examples, as we weight theses pros  
21 and cons, is one model better for customers in terms of  
22 getting. The goal is to get the best transmission project,  
23 the most cost effective that can be built I guess I'd start  
24 with the developers that worked in both systems but I'm  
25 interested in anyone's views.

1           MR. WILLIAMS: Well, I think really to get the  
2 innovation I think sponsorship model probably drives more  
3 innovation because you end up having the idea compete and  
4 then price is part of that process or cost is part of that  
5 process. so ultimately to drive the you know, what I would  
6 say the innovation or creative projects I think you see them  
7 come out of the sponsorship model a lot faster out of maybe  
8 you do the competitive bid model. I think both of them can  
9 get there but from the standpoint of driving the innovation  
10 I think the sponsorship model is probably there.

11           They both have their pros and cons. You can put  
12 cost-containment on in a sponsorship model you run the risk  
13 there of you may not, the developer may not be in a position  
14 to want to take as much risk there because you're still  
15 dealing with a lot more unknowns than you would be with a  
16 defined project in the competitive bid side of the model.  
17 So pros and cons of both, I think both can work but I think  
18 you're seeing a lot more success currently from a  
19 sponsorship model because it does drive a little bit more  
20 innovation at the front end and it's a project that is  
21 decided wins the day rather than the price and so the price  
22 or the competitive price.

23           MR. SMYTH: Yes. Thank you. We have actively  
24 participated in both models like I stated and I think we've  
25 seen evidence of the sponsorship model being much more

1 powerful with respect to consumer savings as compared to the  
2 bid-based model. In a bid-based model, I think you're  
3 playing on the edges with respect to what you can do versus  
4 another competitor.

5           There are only so many constructors out there.  
6 There are only so many suppliers out there with equipment.  
7 There is only so far you can go on an ROE so you're really  
8 only playing on the edges with respect to saving to  
9 customers. I think that the creativity that the sponsorship  
10 model puts forth really results in some powerful savings.  
11 So I don't think it's cost.

12           MR. IVANOVICH: I think California would argue  
13 that it's a very flawed assumption that the sponsorship  
14 model automatically produces greater savings than the  
15 competitive bidding model. I'm sure our transmission  
16 planners would agree with me. Our tariff requires and Order  
17 One Thousand requires that every planning region look at the  
18 more efficient or cost effective proposal and identify those  
19 solutions and our planners do that before the competitor's  
20 solicitation process.

21           They would with stakeholders, they evaluate a  
22 variety of proposals and not just from developers but from  
23 various state agencies, municipal utilities, consumer groups  
24 are all in there, arguing on what we should choose as the  
25 model to be bid out for competitive solicitation. I would

1 argue that our model absolutely provides more benefits  
2 because we are choosing the most cost-effective solutions in  
3 the planning stage and then we are bidding out that more  
4 cost-effective solution through a competitive solicitation  
5 to get those benefits on the edge.

6 We've had independents. LS Power is one who has  
7 come in with creative ideas during the planning stage and  
8 one of those projects, the Harry Allen El Dorado Project was  
9 bid out for competitive solicitation so I don't think we can  
10 automatically say that just because you have the competitive  
11 bidding model that you're not bringing benefits to  
12 ratepayers.

13 COMMISSIONER LEFLEUR: So just to follow up, are  
14 we miscategorizing? Do you think you have something of a  
15 sponsorship consideration and then followed by the  
16 competitive bidding? I mean are these not, they're not  
17 hermetically sealed.

18 MR. IVANOVICH: No we basically in the planning  
19 process it's you know, a collaborative effort between ISOS  
20 stakeholders and the ISO to basically sit and decide what we  
21 think is the best solution that ought to be bid out and if  
22 anybody thinks that you know somebody in California where  
23 there's a strong focus on cost that we can choose a high  
24 cost alternative and then think that somebody's going to be  
25 able to go to the California public Utilities Commission and

1 get that cited, that's just an incorrect assumption. We  
2 need to look at what's the most cost-effective proposal in  
3 the beginning of the process and redo that.

4 MS. SEGNER: We would say a couple of things.  
5 First of all, as a general preference, LS Power prefers a  
6 sponsorship model. However, we see merits in the California  
7 model and we also see that the California model works and  
8 that there is room in Order One Thousand for regional  
9 differences. What I would say characterizes is there are  
10 actually three models nationwide. One is there's a  
11 sponsorship model. Second, there is the competition model  
12 in California, which in our view works as well and thirdly,  
13 there's the competition model with a defined point system,  
14 which is different than California.

15 Essentially MISO and SPP have competition model  
16 with a defined point system tied to various project  
17 characteristics which is different than California. So I  
18 would respectfully say there's three different models and in  
19 our view the model that is most challenging is actually the  
20 competition with the defined point system because right now  
21 the point system in MISO and SPP does not majority weight  
22 cost and so there is not in terms of in the selection  
23 process.

24 So if someone comes in with a cost cap, even for  
25 a market efficiency project in MISO or SPP, essentially the



1 competition model doesn't reward the cost-containment  
2 innovation in SPP and MISO. Clearly its new insurance and  
3 others have won projects MPJM in California. The model MPJM  
4 in California is producing cost-containment proposals. The  
5 challenge is in the SPP and MISO models if anyone ever  
6 proposes a cost cap on whether or not there is really any  
7 credit for it in the model. That's where the tariff changes  
8 need to occur in those two markets.

9 MR. SHEEHAN: So our position would be every  
10 region, you know every project, every developer is unique.  
11 It's not a one-size-fit all approach to transmission  
12 planning that based on densely populated areas, rule areas,  
13 mountainous, desert -- transmission planning should be a  
14 one-size-fits all approach whether it be two big pictures,  
15 competitive bidding model or sponsorship model. It needs to  
16 be, every region needs to figure out its best planning  
17 process.

18 I think the real moral of this story is here,  
19 given if you go to the three miles, the hybrid that Sharon  
20 mentioned, every single project; there is an example of a  
21 project in every single model. That's delivered savings for  
22 customers compared to what the estimate was and what the  
23 binding cost has been. So it's delivering value for  
24 customers. It might be a little messy in certain regions  
25 but it's working for the benefit of customers.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MS. HANEMANN: Just to follow up on Sharon's point. She described the three models. I will give you a little different view of the MISO model versus how Sharon described it. Yes, the MISO model uses a point system where they have part of the points are the cost and the cost cap. I would say just as important as well is the developer's ability to operate and maintain those facilities for many, many years to come. The rigor and the design, the contracts, the assurance of delivery, the team that is going to deliver the project and build it and get it into service, so to me those are all very important variables when you're choosing somebody to build a transmission line.

COMMISSIONER LEFLEUR: Do you think there's a lot of unqualified bidders out there? That seems to be the kind of under -- I mean, because there's some folks who haven't done much of this and as I've said before building transmission is not easy. It's fun, but it's not easy. I want to probe in a different dimension and that's kind of standardization versus flexibility. We did let a thousand flowers bloom in the way Order One Thousand was written and in the compliance filings and I heard at least 3 or 4 people say don't standardize, it's not one size fits all. Yet, almost every single person made a suggestion that that suggestion would require some level of policy statement or

1 standardization or best practice, you know, require  
2 something on market efficiency. Have a transparent scoring  
3 system. President Rose talked about standardizing certain  
4 aspects of the process and there were others.

5           So do you think we should put out some kind of  
6 policy statement standardizing something or pushing in some  
7 directions or just let this flow a little longer? Nobody  
8 ever wants standardization for the things they like but yet  
9 almost every change recommendation seemed to point that way.

10           MR. GLAZER: The short answer is yes. I think  
11 standardizations of buzz word, people will automatically say  
12 no, one size fits all. We all know the sort of sound bites  
13 but there are certain things that I think if we don't get  
14 our handle on we're going to crash and burn. Some of them  
15 for example is this question, it's not should there be cost  
16 caps. What about revenue requirement caps versus  
17 construction caps?

18           When you're dealing with a revenue requirement  
19 cap, the RTO is going to be doing this which we're trying to  
20 suggest we need to share this more but if we're going to be  
21 doing this, that's really difficult because then we are  
22 prognosticating on what kind of ROE, what kind of capital  
23 structure. Comparing an entity A that might have a cost cap  
24 with entity B that might not. Over the lifecycle of the  
25 transmission line, which is cheaper? That's a lot of

1 assumptions about frankly what this Commission will do both  
2 when it gets the case and in the future so I think again  
3 sort of respecting our own missions and expertise, I would  
4 ask that you would clarify that that's in your lane.

5 We don't need us necessarily to be in that lane.  
6 It's tough enough to compare construction cost. I think  
7 that would be helpful and frankly reduce the litigation at  
8 least on that point.

9 COMMISSIONER LEFLEUR: I have a feeling we might  
10 go there in the next Panel on ratemaking. Anthony?

11 MR. IVANOVICH: Listening to this discussion I'm  
12 reminded of the adage from the old Supreme Court case that  
13 says cost allocation is not a matter for the slide rule. I  
14 would pause at neither is competitive transmission  
15 development. Again, we would urge against standardization.  
16 I think folks ought to be proposed whatever cost containment  
17 or other measures they feel are appropriate given the risks  
18 of the particular project and we can address those.

19 I think we would prefer to have guidance from the  
20 Commission on matters such as what do when somebody proposes  
21 a fixed revenue requirement and you don't know whether the  
22 Commission is going to accept that or not. You treat it as  
23 a cap subject to Commission action or not.

24 I think another area where we could use guidance  
25 is on rate of return. Somebody caps their return on equity,

1 another entity doesn't. Yes, there is a risk that the  
2 person that didn't cap their return could have a higher, you  
3 know down the road, have a higher return on the equity but  
4 how realistic is that for an entity that has basically one  
5 project. If they're setting on a 10 percent return on  
6 equity a day is it possible that twenty years from now and  
7 inflation goes up that they're going to be given a 15 or 16  
8 percent return on equity? I think some guidance on how we  
9 would handle that in the process.

10 I think a third item, where we would like  
11 guidance. Our decisional reports, we would like to post the  
12 cost containment measures of all of the project sponsors. I  
13 know when Harry Allen solicitation for the first time we  
14 posted the cost-containment measures of the winning sponsors  
15 but I think that was extremely beneficial but we've gotten  
16 push back on the folks that haven't won about publishing  
17 that information. I think we would ask that we be able to  
18 do that, that way we're being fully transparent in our  
19 decisional process and everybody can see that and basically  
20 everything is on the table.

21 MR. MROZ: Commissioner, I just want to clarify  
22 in my comments that I would not want you to think that I  
23 would suggest that my recommendation would be that you  
24 mandate or that you standardize this process across all  
25 regions. I think that conversation does point out, and I

1 think people realize there are regional differences.

2           Secondly, my comments should be taken as just  
3 there should be guidance in the different phases of the  
4 development of projects and that's really what my  
5 perspective is because whether it's in the planning, whether  
6 it's in the procurement and the delivery of the project. I  
7 think they're all different and they have different elements  
8 than you have heard today, different aspects of how  
9 procedures can be implemented to contain cost in the  
10 different phases.

11           That's really my perspective is that all along  
12 the way of delivery of a project from the planning to the  
13 ultimate delivery, those procedures can't support or  
14 guidance can't be implemented.

15           MS. SEGNER: I'd suggest, we'd suggest four --  
16 excuse me -- five main areas for policy guidance in this  
17 area. First of all, a directive to the various regions that  
18 cost caps has the potential to bring consumers benefits and  
19 so therefore the regions are instructed to develop the  
20 financial and legal capabilities in order to evaluate the  
21 bids. Because this is an important potential part of  
22 bringing value to the consumers.

23           Secondly, a clear directive to the developers  
24 that cost caps are not PowerPoint slides and that the  
25 developer should expect to see their cost containment

1 proposals in their ultimate rate case and in their agreement  
2 with the RTO.

3           Thirdly, guidance -- specific guidance to the  
4 regions on how to weigh the cost cap versus the cost  
5 estimate when the regions are confronted with that decision.  
6 That seems to be the challenge in terms of evaluating cost  
7 estimates versus cost caps and so really providing more  
8 guidance to the region specifically on that.

9           Fourthly, guidance and a directive following what  
10 Nesco proposed with clean energy RFP related to market  
11 efficiency projects, that when related to market efficiency  
12 projects that cost caps when proposed should be decisive in  
13 the selection process with market efficiency projects and  
14 then fifthly in MISO and SPP, given the small waiting on  
15 cost in those regions there should be further Commission  
16 action related to whether or not costs are appropriately  
17 weighted in those regions given the creativity and the  
18 strong cost cap proposals that have been proposed.

19           COMMISSIONER LEFLEUR: thank you very much. I  
20 might have another question if we loop around but I doubt  
21 we'll have time to do that. Thank you.

22           CHAIRMAN BAY: Thank you Cheryl. Tony?

23           MR. CLARK: Thank you. So if Staff's goal was to  
24 make sure that we had a variety of opinions on the Panel I  
25 think they succeeded extraordinarily well. I've taken notes

1 and it sounds like Order One Thousand is either partially a  
2 success, generally a failure, cost containment is either  
3 important, unnecessary or unneeded, should be flexible or  
4 very well-defined.

5 (Laughter)

6 Let me hearken back to some of the questions that  
7 were teed up in the agenda that the Commission put out.  
8 Although there's lots of disagreement that we've heard so  
9 far today, one area that didn't seem to be any disagreement  
10 at all is on this idea of transparency. However it plays  
11 out in terms of whether it's the selection process or what  
12 happens after the project is selected. There is a high  
13 degree of transparency in how that happens so there is  
14 general agreement on that.

15 While I'm very supportive of the comments of both  
16 of our planning regions have made with regard to PJAM and  
17 CAL so with regard to this concern about putting too much  
18 into the tariff and being too descriptive and inviting  
19 litigation. It's been something that I've been talking  
20 about for a long time under Order One Thousand which is my  
21 biggest concern is that the process becomes so overwhelming  
22 that we're blocking otherwise needed transmission projects  
23 that would just get built.

24 So I'm sensitive to that concern yet there must  
25 be some sort of middle ground of balance that we can find



1 with regard to this issue of transparency. Because it does  
2 seem that if there is going to be transparency then there  
3 has to be rules of the road that everyone pretty well  
4 understands and knows about going in. I'm wondering if  
5 anyone has suggestions for us here today, certainly I'd  
6 welcome them in follow up comments, with regard to whether  
7 the regions should in advance define certain categories that  
8 should, for example, be exempt from cost containment where  
9 in looking at how developers structure their bids they  
10 simply say, "Look, these sorts of things are not the kinds  
11 of things that are going to be in cost-containment and can  
12 those things be defined or set to something that we can't  
13 define", number one.

14 Then number two, how proactive should the regions  
15 be in or maybe they are already. If they are in advance  
16 telling project developers here is how we are going to  
17 handle situations where there are cost overruns and being  
18 rather specific about how that's going to be handled in  
19 terms of the contractual language. Craig?

20 MR. GLAZER: Thank you, Commissioner. I wanted  
21 to first get to the 2nd question because up to this point we  
22 haven't talked about enforcement and I'm glad you brought  
23 that up because that's a really interesting issue and to me  
24 back to this sort of difficult who decides question. I'll  
25 give you the scenario. The project's moving forward so from

1 a construction viewpoint we're pleased.

2 As the RTO it's getting done. But the costs are  
3 blooming. President Morrow is very upset. He sees these  
4 costs ballooning. We transparently are having the developer  
5 produce and present that information to stakeholders. He  
6 sees that information. He's upset. Who does he call? Does  
7 he call the RTO Board and say "oh, Mr. or Mrs. RTO Board you  
8 need to do something about this." What do we do at that  
9 point? Do I yank the project? Well from a reliability  
10 point of view the project is getting done. I don't have  
11 penalty authority over that. Do we do that, or does he file  
12 a complaint here at FERC.

13 Again, this sort of muddy area when we get into  
14 the cost caps been accepted, who enforces it? Who is the  
15 contract with? Back to my point where I think you have to  
16 sort of think down the road what is our turf and what is the  
17 Commission's turf because I can see this enforcement issue  
18 being very, very difficult so let me just stop there as one  
19 I've been thinking a lot about and I think we all need to  
20 think about who does he call and how does his redress get  
21 resolved?

22 CHAIRMAN BAY: Sure, thanks.

23 MR. MROZ: I would just agree with the suggestion  
24 that is a problem and certainly to not have a cost  
25 containment construct somehow, somehow leads to those

1 problems. We would, the states would, I know my colleagues  
2 in other states would be in the same position to raise  
3 concerns and then we would be coming back here to FERC after  
4 the fact to file a complaint and that is not a great place,  
5 quite frankly for the industry, the RTOs or for us as state  
6 commissions or for the FERC to be in.

7 MR. CLARK: Thanks. Kim?

8 MS. HANEMANN: There is a question about  
9 enforceability and once again I make the parallel to  
10 actually executing these projects and construction  
11 contracts. It starts with you know, what's your RFP, what's  
12 your scope of work and then what's your process through  
13 construction where you're managing change? You're going to  
14 have to figure all that out in terms of what is a change  
15 notification form, who's monitoring it through construction  
16 if somebody is using cost containment but it's very similar  
17 to a process you would use, a construction execution  
18 contract and how you're managing change.

19 I think you've got to walk the process all the  
20 way through with rules that everybody understands around how  
21 you've managed that and determine where your line is and  
22 where FERC's line begins with that process.

23 MR. CLARK: Yes, and so the question becomes I  
24 mean that's sort of contractually binding language. Is it  
25 too late for the ISO or the planning region, whoever to

1 award that out after the project has been selected or does  
2 that need to be done more transparently in advance through  
3 the planning process?

4 MR. GLAZER: The way it worked in the artificial  
5 island is that we entered into a designated entity agreement  
6 which contained the cost cap language. We couldn't take it  
7 just at exactly as it was filed because every project there  
8 were little changes that were made. We put that in. This  
9 part of the process I think actually worked. You had us  
10 file that with you. There were protests -- and others to it  
11 and then this Commission approved it.

12 So I view that as almost then at that point you  
13 have put your stamp on it. The only oddity at that point is  
14 it kind of shifted the burden of proof because my board had  
15 already approved it. At that point if PSIG or somebody  
16 wants to challenge it or a consumer advocate wants to  
17 challenge it, it's almost a fate accompli, I'd have to go  
18 back again. So but I think the process was a good one, I  
19 just think the timing of it -- but is it worked out up  
20 front? It is in the sense that we have to sign a contract.

21 Again, a little strange when I'm signing the  
22 contract on behalf of the load for this thing which is  
23 effectively what I'm doing with regard to the cost cap. But  
24 that is how it works.

25 MR. CLARK: Anthony?

1           MR. IVANCOVICH: Yes, at the California ISO we  
2 basically allow project sponsors to voluntarily propose  
3 whatever cost containment measures they want. The measures  
4 proposed by the winning project sponsor get reflected into  
5 our approved project sponsor agreement. We're not  
6 negotiating them after the fact. We're taking the binding  
7 commitments they made, putting them into our contract.

8           I think it's that expectation that that contract  
9 be enforced. If not, then the cost containment measures are  
10 illusory, the basis for our decision basically gets undone.  
11 I think it needs to be enforced or else it's going to  
12 basically undermine the entire competitive solicitation  
13 process if it's not.

14          MR. CLARK: We'll start at Noman and then just go  
15 down the line from there. I'm not sure who had their tin  
16 card up first.

17          MR. WILLIAMS: Thank you. I look at cost  
18 containment would be a contract, just what Anthony said. I  
19 mean it's a contract between the developer and the region to  
20 build underneath whatever containment measures they have but  
21 I also look at how do you manage the ones that aren't cost  
22 contained. So you look at SPP. SPP has a bandwidth that  
23 they look at and if their projects deviate outside that  
24 bandwidth there is a review by the RTO and the Board has to  
25 either approve or disapprove of everyone outside that

1 bandwidth.

2           So you almost have to balance between what normal  
3 project cost measures are and make sure you are tracking and  
4 not seeing a lot of overruns and then also look at how you  
5 do cost contained. I think, again, cost-contained would be  
6 contractually bound to do something unless there was an  
7 agreement by all parties that there was something that  
8 created a significant change in circumstance and the RTO  
9 said we got to do this, we got to look at this a little bit  
10 differently.

11           But again that changes the project potentially  
12 that was awarded underneath that as opposed to projects that  
13 get awarded under the normal process that have a bandwidth  
14 and they just continue to escalate in cost and the only  
15 thing you do is either deny it, remove the MTC and the SBP  
16 vernacular or you just approve additional cost and it just  
17 keeps on going. There is really no check and balance there  
18 other than just saying "yup, we've got to build a project  
19 and it's now fifty or sixty or seventy percent higher than  
20 what we originally thought it was going to be."

21           So you can look at it either way but you need to  
22 know up from exactly how you are going to measure those and  
23 then what the stepping points are in the process of building  
24 the project and if you get to a stop point or a view point  
25 how you are going to be treated with that project and at

1 cost-contained, my view is it's contractually bound.

2 MR. CLARK: Tony?

3 MR. SMYTH: Yes, thank you. We support an  
4 optional process but with clear rules regarding and  
5 transparency regarding what is going to be scored and how.  
6 We think that's very, very important. It think it's  
7 difficult to standardize anything, even in the Alberta Model  
8 where it's very, very rigid, there is still a multitude of  
9 items that you can come back for and seek relief on after  
10 the fact so I think that points the difficulty of building  
11 when your infrastructure whereby you don't have site  
12 control, whereby you don't know what's going to happen and  
13 it's very, very uncertain but either way I think the costs  
14 go up when you're in a situation where it's uncertain  
15 whether or not you'll get recovery when and if you run into  
16 those uncertainties.

17 MR. CLARK: Michael?

18 MR. SHEEHAN: When using our, NextEra has been  
19 fortunate to have been awarded two projects in the  
20 California ISO so we view our approved project sponsor  
21 agreement, it is a binding obligation on NextEra energy with  
22 the California ISO. It was filed that agreement, contains  
23 cost, as Anthony said, has the cost-containment provisions  
24 in it, it was filed at FERC when we filed for our Section  
25 205 application and it's important to note, it's not a

1 snapshot in time.

2 We have ongoing reporting obligations with the  
3 California ISO. Every 90 days we file a construction plan  
4 status report. From the day we were awarded the project  
5 through construction. That has milestone updates, that has  
6 regulatory updates, and it's got budget updates. That plan  
7 if filed with the ISO and shared with the interconnecting  
8 transmission owner for an update on the project because it's  
9 germane if this project is going to be viable or not.

10 It's also important to note that it's not  
11 NextEra's sole discretion to increase costs. There is  
12 language in the Project Sponsor Agreement that if we  
13 discover a cost which is outside of the cost cap and may  
14 increase the cost above the cap that we need to consult with  
15 the ISO before we incur such costs. NextEra and the ISO  
16 will determine with that increased cost if the project is  
17 still viable and if so NextEra will come up with a new cost  
18 estimate or add it to the binding cost cap and amend the  
19 agreement.

20 So it's not in a vacuum. There is checks and  
21 balances here and there is robust reporting obligations from  
22 the developer.

23 MR. CLARK: Thanks. Let me follow up quickly on  
24 my first question because I think we mainly got to my second  
25 one which was this idea of enforceability and the responses



1 were helpful. With regard to this first question about  
2 whether the region should in advance be exempting certain  
3 binding cost containment measures. Maybe I'll ask it this  
4 way, is that for the regions to do or is that something that  
5 the Commission should be looking at because it gets so into  
6 the idea of rate setting that you had talked about Craig and  
7 which really leads to our second Panel discussion which is  
8 that section between FERC rate-setting and cost-containment  
9 measures and ensuring that something that is committed to  
10 over here doesn't end up over here and rates getting  
11 recovered just in another way.

12 So I'll tee that up to anybody who wants to  
13 discuss. Is the idea of what can actually be contained in  
14 cost containment measures, is that something for the  
15 Commission to define? Should we be defining it or is that  
16 something just best left hands off? Sharon? I'll go to  
17 Sharon first and then Craig.

18 MS. SEGNER: We would say that really the market  
19 should decide at the proposal level which costs are excluded  
20 from the cap and what is in their cap. It's their proposal  
21 and that's what they're submitting to the region. So we  
22 would say initially it should be the marketplace of ideas  
23 and of proposals that come in in terms of relating to the  
24 cost gap. It's the regions' role to essentially develop  
25 broad capabilities to evaluate the financial and the legal

1 aspects and doing the review of the cost cap as a  
2 preliminary rule in their evaluation process.

3 But ultimately it's the Commission's approval of  
4 the DEA and the rate case and the selection process and  
5 ultimately the Commission has the ultimate oversight over  
6 whether or not the region correctly ran the process, but the  
7 regions absolutely need to develop the initial capabilities.  
8 They are not, we would not agree that the regions are of a  
9 sudden becoming regulators. The Commissions are essentially  
10 developing the initial review. But ultimately it is the  
11 Commission's review.

12 MR. CLARK: Craig.

13 MR. GLAZER: Commissioner, I would argue that  
14 you've effectively done that. You probably did it for  
15 different reasons but when you said that upgrades go to the  
16 transmission owners' projects allocated in a single zone you  
17 have effectively said that we're going to use the existing  
18 regulatory rate-setting process as the way to police costs  
19 on those. So I think you kind of back-doored it. I don't  
20 think it's a bad thing that you've done that.

21 We've got ourselves in a little bind now, a case  
22 in front of you to try to get out of this sort of box that  
23 we find ourselves in, we're putting everything out. I think  
24 you've effectively done that by virtue of saying you know,  
25 there's a certain class of projects that you want to just go

1 to the TO. They're smaller projects. We can argue if  
2 they're too large or not, that category but effectively by  
3 doing that you're saying just use the existing regulatory  
4 process. We don't need cost caps because there's no  
5 competitor in effect.

6 So I think you're there already and for the  
7 smaller projects I would argue that probably makes sense.

8 MR. CLARK: Thanks, anybody else?

9 CHAIRMAN BAY: Thank you, Tony. Collette?

10 COMMISSIONER HONORABLE: thank you, Mr. Chairman.  
11 Thank you all for your comments and your points or view and  
12 most of all your candor because you really shed light on how  
13 cost-containment is working in various regions throughout  
14 the country and this is a great time for us to take a look  
15 at whether this is an appropriate time for additional  
16 guidance from the Commission, if so -- how much?

17 Me too, I mean Craig I appreciate your concern.  
18 You don't want to be a regulator and we don't want to be  
19 heavy-handed here. I think that cost caps can be a very  
20 useful tool in keeping costs down for consumers if they in  
21 fact keep the cost down. So we will talk about that another  
22 day I suppose. I greatly appreciate Tony's questions  
23 regarding enforcement because we don't want this to be a  
24 runaway train and I especially appreciate Michael's talking  
25 about the process of the reporting and the check and balance

1 of keeping an eye on costs.

2 We have to keep in mind the main thing and that's  
3 to get infrastructure built, to ensure reliability  
4 affordably and making sure the developer is able to at a  
5 reasonable rate and has an opportunity to earn a reasonable  
6 rate of return and that we take into account risk as well.  
7 So it is a balance.

8 A couple of my questions have been answered as  
9 we've gone through the Commissioners' questions but there is  
10 one that I think I've heard glimpses of and I really want to  
11 get to the heart of if not best practices, sometimes I hate  
12 to use that word, but practices, better practices. I've  
13 heard some of them today. For instance, from LS Power, the  
14 ways in which regions are weighting costs and the fact that  
15 we need to take a look at that and I want to ask you who in  
16 your opinion is doing that well. You mentioned a couple  
17 that maybe we could work on that.

18 Mr. Ivancovich, it seems that your work is going  
19 well if we take a look at the fact that we don't have as  
20 many lawyers coming here --

21 (Laughter)

22 About your processes and maybe it would be better  
23 for some of the developers who work in Cal-ESO to tell us  
24 why that is. That's what I'd like to know. What is working  
25 so well that it's efficient and litigation free or there is

1 minimal litigation. I say that as a lawyer to the many  
2 lawyers in the room. And then, going back to Mr. Sheehan's  
3 point about enforcement. So it seems as though you think  
4 that the enforcement mechanism or process in CAL ISO is  
5 working well. Are there others that are working well? So I  
6 wanted to ask that pointed question. We've heard about  
7 concerns for sure, where are the glimpses of hope and light  
8 that could be replicated by our colleagues around the  
9 country? Yes?

10 MS. HANEMANN: I think it's just too early to  
11 tell. I mean where you think where we are in actual  
12 execution of these projects, I don't think we've gotten to  
13 that point of maturity where we've tested it really.

14 COMMISSIONER HONORABLE: And I greatly appreciate  
15 that. Time certainly will tell. Anthony?

16 MR. IVANOVICH: I mean, in terms of the CAL ISO  
17 it has all the audits, it hasn't always been smooth sailing.  
18 It was you know, difficult to implement at first but we've  
19 learned a lot and basically after every round of competitive  
20 solicitations we conduct our own sort of internal lessons  
21 learned process to look at it. What could have gone better,  
22 how can we improve the application, how can we improve the  
23 decisional report?

24 We recently completed a stakeholder initiative  
25 where we made some commitments you know to be more

1 forthcoming in the decisional report, to give better  
2 explanations of why we made decisions. We also beefed up  
3 our application in terms of the information we seek for cost  
4 but you know I think at the end of the day you have to be  
5 fair. There's no magic formulas, you just have to be fair.

6           You have to look at all of the facts and fully  
7 explain your decisions. What are the differences between  
8 project sponsor. Why are they important. You know, what  
9 benefits and risks do each of the projects propose for you  
10 and again, you've got to look at all of the facts and you've  
11 got to explain it really well. Again, I think looking at  
12 fairness we have five project sponsors that have lost  
13 competitive solicitations and those same five project  
14 sponsors have won competitive solicitations.

15           I think you've just got to look at the individual  
16 facts of each one and just really get down, I hate to say  
17 it, get your hands dirty and really go through the facts  
18 which is why we're so strongly opposed to any types of  
19 mathematical formulas or anything like that because we think  
20 it's going to imbed bad decisions and we could get numerous  
21 examples of why we think that's the cases but I think first  
22 and foremost you've got to establish integrity and  
23 credibility that you're going to be fair in looking at this.

24           I hope we've accomplished that, we've been  
25 fortunate so far with no litigation and it's certainly our

1 commitment I think to manage this with integrity and to be  
2 fair.

3 COMMISSIONER HONORABLE: Thank you and one of my  
4 questions for you would have been to talk more about your  
5 process but you've done a great job of that through this  
6 panel. I echo what you've said and certainly litigation has  
7 its proper role because it's an attempt to have a dispute  
8 resolved in a manner that is open and transparent where  
9 there are impartial arbiters over the facts that you have  
10 mentioned, the law and applying policy as well to reach the  
11 proper result that is in the public interest. I don't want  
12 to suggest that my goal is to eradicate litigation because  
13 that is how we resolve our disputes in a civil society.

14 MR. IVANCOVICH: I think another important factor  
15 is that you issue decisional reports that project sponsors  
16 can actually look at and learn from that going forward and  
17 there's, we've noticed by some of the project sponsors that  
18 have participated in a number of competitive solicitations.  
19 They've learned their lessons as well and have modified  
20 their proposals going forward to make them stronger after  
21 having getting dinged for certain deficiencies and I think  
22 that's what makes the process work well when people can  
23 learn and improve their process and make it more competitive  
24 going forward.

25 COMMISSIONER HONORABLE: Indeed, and then they

1 win projects as well. Sharon?

2 MS. SEGNER: I would say that both PJM and  
3 California have in our view figured out how to make cost  
4 caps enforceable and the reason that we say that is because  
5 in the awarded projects in PJM and California that all have  
6 cost caps associated with them, essentially the entities  
7 propose the cost caps, the cost caps became part of the  
8 Project Sponsor Agreement that was signed with the region,  
9 or in PJM the Designated Entity Agreement was filed at FERC.

10 Secondly the cost caps ultimately became part of  
11 the rate filing as well, adding another layer of  
12 enforceability. And of course in these Designated Entity  
13 Agreements or Project Sponsor Agreements in PJM in  
14 California, if the developer breeches the material terms and  
15 conditions in the designated entity agreement the developer  
16 could lose the project. So there's real enforceability  
17 right there.

18 In addition, there's real enforceability with  
19 cost caps because it's in the rate case so what the  
20 developer is dealing with is that they are in breach of the  
21 cost cap ultimately what's in play is both the project and  
22 the rates. That's a lot. In our view, the PJM in  
23 California has figured out how to make the cost caps  
24 enforceable and not just a PowerPoint presentation. In  
25 terms of other regions what they're doing as well, we've



1 noticed in particular that in New York while they haven't  
2 had as many windows and they are not quite as far ahead as  
3 PJM in California in actual number of windows we certainly  
4 have noticed in our discussions with the New York ISO they  
5 do a lot of looking and learning what's been going on in PJM  
6 especially as relate to cost caps. They certainly have been  
7 very watchful of all of these market developments.

8           Also, we've noticed that in New England with  
9 Nesco that they've had several workshops related to how cost  
10 caps should factor into the selection process in New England  
11 and we see the potential for some very positive consumer  
12 policies potentially coming from New England driven by some  
13 of Nesco's initiatives.

14           COMMISSIONER HONORABLE: Excellent. Thank you  
15 for mentioning it. Michael?

16           MR. SHEEHAN: Well, responding to your question  
17 Commissioner regarding what's worked well from a  
18 transmission developer perspective in California, I think  
19 big picture is when the rules are known and the methodology  
20 is consistently applied business functions best. What you  
21 have in the California ISO is a list of 20+ selection  
22 criteria for which the project will be evaluated and the  
23 project developer. Before any project is bid, the  
24 California ISO identifies key selection criteria that rides  
25 or should be given weight above all the others.

1           That's known. It's transparent. The market can  
2 respond to that and craft its proposal accordingly. With  
3 that then is the feedback and as Anthony has mentioned the  
4 robust selection report that says where did I stand versus  
5 my competitors in the world. You might not be happy where  
6 you wrapped up but you're going to know. Did I score well  
7 in engineering or financial resources? Was I off on land  
8 acquisition? Was my engineering construction costs high?  
9 Did I have too many carve-outs in my cross-cap? All that is  
10 in the report.

11           So at the end of the day, that's what's driving  
12 the process and making it work well and you're getting  
13 repeated bidders coming back to competitions in that market  
14 because it's clear, transparent, consistently applied and  
15 you're getting feedback.

16           COMMISSIONER HONORABLE: And by the way, I want  
17 to thank GridLiance for your submission because you ticked  
18 off quite a few, both in your comment and today about some  
19 of the things that you think are best practices but please  
20 proceed.

21           MR. WILLIAMS: Thank you. Maybe what I'll,  
22 here's maybe what I don't think are necessarily best  
23 practices because we've got some limited experience. I  
24 think we would agree that California because of the way  
25 they've structured it probably provides the transparency up

1 front which gives you the ability as a participant to know  
2 where your focus should be or how you're going to focus your  
3 bid, which is a good practice.

4 I think some of the concerns we have maybe not  
5 best practices is the lack of transparency or lack of  
6 knowing how you did. I mean, if you're -- going back to  
7 construction side, if you're a construction contractor  
8 bidding on a project and you don't win, you like to know why  
9 you didn't win or what were you failing in. I think in some  
10 cases, at least in our experience at this point, it's not  
11 been very clear of why. It was ambiguous so taking the  
12 ambiguity out I think would be something to work forward to,  
13 give it a little more clarity.

14 Even for the folks that don't win, at least you  
15 know where you're falling down. I would agree with Macaulay  
16 down at New Jersey, we're still in the infancy in some  
17 cases. I think you've got the two left and right coast RTOs  
18 that are moving the process along and have a lot more  
19 experience with the middle of the country still in its  
20 infancy and you've got others that are still embryonic  
21 really. We've got to get more projects out. I think that's  
22 really the one issue that would bring out is that we've got  
23 a lot of planning going on but there's not a lot of  
24 competitive projects coming out of that planning process.  
25 That's a concern.

1           How do we know the process is going to work if we  
2 don't run the process? So getting more projects to a  
3 competitive position will tell us whether or not we are  
4 going down the right path or not and where we need to fix  
5 it. Thank you.

6           COMMISSIONER HONORABLE: Indeed and I too  
7 acknowledge that it is certainly early but you guys have  
8 heard me say this before, being from the South when we know  
9 better we do better. Just the mere fact that we're all  
10 sitting around having this conversation on a beautiful  
11 Monday afternoon brings really an illumination to the ways  
12 in which we can improve our work so I want to thank each of  
13 you. Thank you Mr. Chairman.

14           CHAIRMAN BAY: I'd like to thank our panelists  
15 and with that we will take a break and resume at 3:15.  
16 Thank you very much.

17   Break 2:57p.m.

18   Back 3:20p.m.

19           CHAIRMAN BAY: So we now turn to our second Panel  
20 examining rate-making issues associated with cost  
21 containment provisions and that result from competitive  
22 transmission development processes. I want to thank all of  
23 our panelists for being here today and we will start with Ed  
24 over on this side of the room.

25           MR. TATUM: Thank you much. Delighted to be

1 here. Ed Tatum, American Municipal Power. I got there  
2 about seven months ago to help them out with transmission  
3 and the comments today I'm offering are my own and may not  
4 reflect the official positions of AMP or its members, but  
5 there you go. AMP views this conference as part of the  
6 Commission's continuing effort to enhance the quality of  
7 open-access service, at the benefit of consumers. We are  
8 enthusiastically supporting everything that you've done so  
9 far. We've had a lot of progress. Much more needs to be  
10 made and this is a great opportunity to continue to address  
11 some of those issues.

12 We are a transmission-dependent utility. We have  
13 approximately 1.9 gigawatts of a fuel-diverse generation  
14 portfolio but at the same time we depend heavily on  
15 open-access service over our facilities that are owned by  
16 others. We have a 133 members, 9 states, 15 different  
17 transmission zones and two RTO regions. Our resources meet  
18 about sixty percent of our needs and we're heavily dependent  
19 on the RTO markets so in a nutshell transmission is a huge  
20 factor for AMP and a huge part of our cost structures.

21 Before we get into details of our discussion I  
22 have four points I'd like to raise. First, recent history  
23 has shown that rate incentives are not really necessary to  
24 encourage transmission investment. EEI correctly points out  
25 the transmission investment has been on the upswing for the

1 last several years for a number of reasons, having nothing  
2 to do with incentives. In fact, we've seen in recent years  
3 the number of companies who have pulled out of merchant  
4 generation facilities where the returns were uncertain and  
5 redeploy capital towards regulated business sectors,  
6 especially transmission.

7           Second, no one should view cost containment  
8 provisions as a panacea, partly because this trend of a  
9 container has not really been tested yet. We need to know,  
10 we know of many non-competitor projects whose final cost  
11 widely exceed the RTOs original planning estimate and we  
12 still feel that something the Commission ought to think  
13 about examining perhaps in a separate docket. But for our  
14 purposes today, the point is the developers who win a  
15 project should be required to live with the cap if actual  
16 cost turns out to be higher than expected.

17           Third, because the actual risk of cost exceeded  
18 in construction cost cap is real, we should expect the  
19 developers will do what they can to hedge the risk. In the  
20 end though the cost of those hedges eventually will be  
21 recovered from consumers and if a large number of developers  
22 build cost-containment into their project proposals and  
23 factor related hedging costs into their bids, all votes will  
24 rise and the overall cost of transmission for consumers  
25 necessarily will go up.

1           Simply put, cost-containment provisions aren't a  
2 good deal for the consumer if the cost of the developers  
3 hedges or even the impact on developers' borrowing cost wind  
4 up being greater than the construction cost kept out. I'm  
5 trying to read this -- am I out of time or can I have one  
6 more point to make? May I?

7           (No response)

8           I'm going to go ahead and make it. Last  
9 apparently means least so thank you for that. The  
10 fundamental purpose of the Federal Power Act is to protect  
11 consumers and this is not a platitude. It's what the  
12 Federal Courts have said time and again in applying the Act.  
13 That purpose would be seriously undermined if the Commission  
14 were to adopt the presumption expressed or implied at the  
15 cost of a transmission project selected through a  
16 competitive process are just unreasonable.

17           In practice, such a presumption would effectively  
18 shift the burden of proving the justice and reasonableness  
19 of rates away from utilities and impose on consumers the  
20 burden of showing these costs are unjust and unreasonable.  
21 I was looking for glimpses of hopes and light. I think the  
22 glimpses of the hope and light in order to address this is  
23 by continuing to take the Order One Thousand process and  
24 applying the Order 890 Planning Principles to make sure we  
25 have as much transparency. The gentleman from California

1 was talking about everyone at the table knowing exactly what  
2 everybody was doing.

3 I thought that was helpful. But until we get to  
4 that point we think there is a lot more effort needed there.  
5 We think the rebuttable presumption should not be pursued.  
6 I look forward to your questions.

7 CHAIRMAN BAY: Alright. Thank you, Raja.

8 MR. SUNDARARAJAN: I do know that I have a unique  
9 last name so please therefore call me Raja and I won't take  
10 that very personally also.

11 (Laughter)

12 I do like to thank the Commission for providing  
13 the opportunity and providing a particular perspective in  
14 terms of this unique topic. As we all know AEP user  
15 transmission is one of the nation's largest transmission  
16 subsidiary of transmission in all of the United States. AEP  
17 and its transmission holdings subsidiaries including  
18 operating has eleven operating companies, six  
19 transmission-only companies and the joint ventures and  
20 influence the entity that is solely created for Order One  
21 Thousand.

22 We actually think that the former rates that  
23 currently are today have the mechanism to incorporate all of  
24 the flexibilities and the cost containment bids the  
25 Commission is thinking about. What Craig was talking about



1 is the keys to maintain what's working. In our opinion the  
2 former rate concept that the Commission has provided and  
3 embraced and provides a significant clarity to all the  
4 investors and the equity investors and the rate-holders,  
5 provides a significant amount of transparency in terms of  
6 how the regulatory contract works. The cost-containment  
7 element can be built into the formal rate contract.

8 Under the current policies the developers have  
9 the flexibility to find the terms of the cost containment  
10 bid and exceptions to the cost-containment bid. It can be  
11 clearly stated in the existing former rate construct the  
12 fact where there's AEP Subsidiary companies including  
13 Transource has bidded former rate contracts which are up to  
14 rates and basically provides an element where the cost of  
15 service rate is being calculated and at a discount to  
16 premium cost of service rate being set based on the cost of  
17 cost-containment bid that we'll be filing for the  
18 Commission. So we believe that construct lends well into  
19 this space without a significant change to the former rate  
20 construct.

21 The one other thing that I will talk about is any  
22 time when there is a meaningful cost-containment mechanism  
23 there is a risk factor between ratepayers and to these,  
24 whenever there is a risk transfer and clearly one would  
25 argue that the competitive transmission projects are

1 incrementally more risky than the non-traditional cost of  
2 service based project because of what it takes to secure the  
3 project. Making that the risk transfer can be litigated on  
4 a two primary basis.

5           The first one being is the Commission providing  
6 significant clarity in terms of what incentives the  
7 developer can secure, whether it is incumbent or  
8 non-incumbent for these projects so that they can crack  
9 these bids in a more efficient manner. In absence of  
10 obtaining clarity on what incentives that the project is  
11 authorized, it becomes significantly difficult for the  
12 developer to propose projects and to especially tailor the  
13 cost-containment mechanism uniquely for that project.

14           The second method obviously is the project  
15 developer takes the risk of coming back and later securing  
16 incentives once the entity is designated and in our opinion  
17 the former approach of the Commission providing clarity and  
18 incentives predominantly non-ROE incentives would go a long  
19 way in terms of providing us effectively in terms of  
20 wrapping these bids and submitting these bids in a more  
21 efficient manner with significant constraint on the  
22 cost-containment mechanism.

23           The last one I will talk about is the concept of  
24 fixed APRR. If the Commission were to consider allowing  
25 fixed APRR we fundamentally think that departs significantly

1 from what Order One Thousand's space was. We thought the  
2 Order One Thousand's space does not change the regulatory  
3 mechanism of the Commission. We think still think that  
4 these are regulated transmission assets and a fixed APRR  
5 mechanism that both exhaust the capital cost-based bid  
6 provides a significant departure from that Order One  
7 Thousand space it initially was contemplating for.

8 With that I have, those are predominately my  
9 comments. I'm open to any other questions that you may have  
10 in the future.

11 MR. HUGHES: Chairman and Commissioners, I  
12 appreciate the opportunity to participate on this panel.  
13 I'm speaking on behalf of ELCON which I am President and  
14 CEO. I am also speaking on behalf of eight regional and  
15 state industrial consumer groups that joined ELCON in  
16 proposing a petition for declaratory order filed by ITC  
17 Group development last year. Transmission costs have become  
18 the most uncertain and fastest growing component of electric  
19 rates. U.S. Manufacturers are generally skeptical in all  
20 cases the benefits succeeded the costs.

21 Nonetheless, rate-setting based on competitive  
22 and efficient electricity market is extremely important to  
23 the economic viability of the U.S. Manufacturing community.  
24 As a representative of consumer interests, my objective is  
25 to explain how cost containment constructs and various forms

1 of incentives when not properly implemented can distort  
2 competition and increase cost to consumers.

3           The main point I want to make is that using  
4 competitive practices such as a competitive sourcing and  
5 auctions is an expected business behavior of any unregulated  
6 or regulated entity, not the exception that needs to be  
7 subsidized or promoted with incentives. Nor in the case of  
8 relatable entities should there be a rebuttable presumption  
9 that any competitively bid investment or expense be freed  
10 from any ongoing regulatory scrutiny.

11           Cost-containment is the same and begs the  
12 question, is the lack of cost-containment the expected norm  
13 under the Federal Power Act? I think not. The Commission  
14 is perhaps unwittingly complicit in creating an investment  
15 environment in which nothing gets done without some form of  
16 incentives. In reality, these incentives are subsidies that  
17 only create the illusion of success. Success to promote  
18 responses by independent transmission subsidies to promote  
19 responses like independent transmission companies through  
20 the competitive solicitation mandated under Order One  
21 Thousand do not create competitive markets. Easy money does  
22 not promote innovation.

23           At best, they negate the cost-savings if any that  
24 might be achieved by auctions for soliciting transmission  
25 projects. At worst, they simply impose added cost to what

1 has to be recovered from consumers. The primary purpose of  
2 the Federal Power Act as Ed spoke of moments ago is to  
3 protect consumers, not to protect transmission project  
4 developers from risks associated with their voluntary  
5 choices to submit binding bids.

6           Transmission project developers should not be  
7 allowed to shift risks from consumers by severely limiting  
8 rate payers, substantive and procedural rights and abilities  
9 to protest future transmission rates in the false name of  
10 cost containment. There's no way Section 219 can be read to  
11 encourage this. In particular we strenuously oppose any  
12 binding cost-containment construct that would have granted  
13 the transmission project developer the extraordinary  
14 incentive of Mobile Sierra protection, locking in rates for  
15 forty years or so and precluding future claims that rates  
16 are no longer just and reasonable would be detrimental to  
17 consumers and an aggregation of the Commission's  
18 responsibility under the Federal Power Act. Transmission  
19 project developers can and do condition their bid on  
20 conditions that would otherwise trigger rate increases.  
21 There are many reasons to do so, some good, some bad that  
22 require regulatory scrutiny on a case-by-case basis. Rate  
23 payers should always have the benefit of lower bid price or  
24 should conditions change in the future, cost of service plus  
25 reasonable rate of return.

1           The appropriate FERC action should be to continue  
2 case-by-case review of the need for any new incentives for  
3 other special rate treatments and that includes a  
4 determination that consumers receive benefits in their  
5 bills. Thank you again for this opportunity and I look  
6 forward again to the discussion that follows.

7           MR. HARVILL: Good afternoon. I'd also like to  
8 thank the Chairman and Commissioners for allowing ITC to  
9 present its positions on the questions that were posed to us  
10 in advance at the Technical Conference today. My name is  
11 Terry Harvill and I am here to represent ITC Holdings. As a  
12 foundational issue, I'd like to note that ITC supports  
13 competitive transmission development, however the current  
14 Order One Thousand process is fundamentally flawed. At its  
15 core there's a disconnect between the Federal Power Act's  
16 cost of service regulation and the competitive construct  
17 created by Order One Thousand.

18           To that end, ITC's petition for declaratory order  
19 highlighted the issues where additional guidance is needed  
20 to make the bidding encouraged by solicitation workable. We  
21 are pleased that the Commission has seen fit to provide this  
22 forum through this technical conference to address those  
23 issues. My comments will be specific to the bids in cost  
24 containment but I would like to preface my statement today  
25 by clarifying there are many other issues impeding the

1 success of Order One Thousand today.

2 Improved bidding, while important, does not solve  
3 the solicitation process problems including concerns with  
4 project evaluation. To begin the Commission's policies must  
5 address three important issues: number one, the integrity  
6 of the process; number two, cost containment and how to make  
7 it work effectively for all stakeholders and three,  
8 regulatory certainty for customers and developers.

9 As explained in this petition, we understand and  
10 respect the Commission's need to insert just and reasonable  
11 rates. To that end, ITC has suggested only bids submitted  
12 through a competitive process which the Commission can  
13 review only on a case-by-case basis for each winning bid be  
14 deemed just and reasonable. If the regional solicitation  
15 processes are not competitive then the Commission must  
16 continue traditional rate of return regulation.

17 ITC supports the establishment of criteria for  
18 judging whether given the regional stakeholder process is  
19 competitive to avoid applicative processes that are  
20 time-consuming and costly. Those criteria could be used to  
21 create a rebuttable presumption whereby our region's  
22 solicitation process is deemed competitive and stakeholders  
23 have the ability to challenge that presumption for a  
24 particular solicitation.

25 A determination of the solicitation process'

1 competitiveness can help shorten the process and remove  
2 uncertainty for developers constructing bids going into the  
3 solicitation process. Inherent characteristics of a  
4 solicitation process should ensure that any one bidder does  
5 not have significant market power. To the extent that a  
6 selected bid contains a cost-containment mechanism, those  
7 cap costs should be considered just and reasonable for  
8 rate-making purposes pursuant to the rebuttable presumption  
9 of a competitive solicitation process, save for any  
10 challenges to the competitiveness of the individual  
11 solicitation.

12 I'd like to note here, it's important to note we  
13 haven't heard the word "symmetry" yet today and I think it's  
14 very important from both a customer perspective as well as a  
15 transmission development perspective that the risks that we  
16 talked about and the transfer of risks between customers,  
17 developers and other stakeholders recognize there needs to  
18 be symmetry on the part of all involved.

19 With respect to cost containment mechanisms, cost  
20 is just one of the many selection criteria using all  
21 FERC-approved Order One Thousand solicitation processes.  
22 We've heard earlier today many established developers have  
23 comparable experience, cost has become a primary  
24 differentiator among what is typically a large field of  
25 developers. This is particularly true in regions that



1 employ a competitive solicitation model rather than a  
2 sponsorship model which allows for differentiation of the  
3 project solution.

4 Bids that include a 40-year revenue requirement,  
5 development to a competition based on forecast data that's  
6 not binding absent of cost-containment provision. As a  
7 developer with experience in many regions, ITC has observed  
8 the challenges of implementing cost-containment mechanisms  
9 are greater in regions that require a long term, full  
10 revenue requirement debt. I note that customers are  
11 typically more significantly impacted by a project's cost  
12 than a developers rate of return.

13 Thus, it may be appropriate to reevaluate the  
14 benefits versus the complexity of a process that seeks to  
15 capture both elements in debt.

16 MR. TOBENKIN: Please try to conclude your  
17 remarks, sir.

18 MR. HARVILL: Sure. On a final note, the  
19 Commission has frequently articulated its goals of incenting  
20 transmission investment and lowering cost. Transmission  
21 investment can and does lower the cost of power to customers  
22 by providing them access to lower cost power. However that  
23 should not be extrapolated to mean that the lowest cost  
24 transmission project in any competitive solicitation is  
25 always the best solution. Further, a process that pushes

1 returns too low may in fact reduce the needed investment by  
2 making project opportunities unattractive to developers.

3 Thank you.

4 CHAIRMAN BAY: Thank you, Terry. Craig?

5 MR. GLAZER: Thank you. I don't have any Steve  
6 Covey quotes for this Panel but let me instead pose a  
7 scenario where I think the rate case model may need some  
8 reform given cost caps but let me give you a sort of a  
9 scenario here.

10 Let's suppose a situation where the RTO chooses  
11 developer A based on their cost cap. They reach agreement  
12 and they have selected developer A. A consumer advocate  
13 comes along and says "you know what, the RTO gave the store  
14 away. That's too high for a cost cap, the exclusions are  
15 too many. We don't think that's just and reasonable." The  
16 consumer advocate comes here or the developer comes here and  
17 the Commission says "you know we don't have any ownership of  
18 what that RTO did. So we are going to look at this thing  
19 fresh", as you should and let's say you agree with the  
20 consumer advocate. The cost cap was too high, too many  
21 exclusions, it was not worth the paper it's printed on and  
22 you do one of two things. You either send it to an AOJ or  
23 you reject it, okay.

24 So that happens, then the developer says "wait a  
25 minute, wait a minute. The Commission is rejecting my cost

1 cap? I'm not going to go forward and build this project  
2 otherwise. There's too much risk." So now you've got a  
3 little bit of a standoff here where the Commission has said  
4 "we don't accept this cost cap". The developer said "I  
5 ain't building it without this cost cap, without this level  
6 of risk and these exclusions and there's a standoff.

7 In the old days the transmission owner would have  
8 to just build it and live with the results. I'm not  
9 suggesting we go back to those days by any means. I think  
10 the competition has been very helpful but I think all this  
11 drives for me is we've all got to sort of think about, the  
12 model has to be different. The timing of Commission review,  
13 the timing of Commission action, when you review the cost  
14 cap, how quickly your process to review the cost cap to get  
15 everybody's concerns and how do you do that all when the  
16 RTO's already made a decision and yet there's some due  
17 process that's required here.

18 It was easier in the old days, it's tougher these  
19 days but I think we have to sort of think about and perhaps  
20 perform the rate-case process to have a more prompt  
21 Commission review and forum associated with that cost cap  
22 review. I'll close with that. Thank you.

23 MR. CUPPARO: Good afternoon, I'm John Cupparo.  
24 I'm responsible for Berkshire Hathaway energies competitive  
25 transmission business unit. Also our comments today are

1 rooted in our experience in participating in competitive  
2 processes both in Canada and regions here in the U.S. In  
3 issuing Order One Thousand the Commission took a fresh  
4 approach to development of transmission projects and to  
5 effectuate the reforms in Order One Thousand we believe the  
6 Commission needs to take a next step and completing its work  
7 by taking a fresh approach to ratemaking to further realize  
8 the goals of Order One Thousand.

9           Today's panel discussion regarding the ratemaking  
10 treatment of cost-containment provisions is therefore  
11 particularly important because although cost-containment  
12 provisions directly benefit customer by allowing developers  
13 to assume all or some of the risk associated with potential  
14 cost overruns. Those same provisions do not fit neatly  
15 within the cost of service framework established by the  
16 Commission. To address this issue, we recommend the  
17 Commission establish rebuttable presumption that rates set  
18 by an effective competitive process are just and reasonable.

19           This approach would produce a balanced outcome  
20 that provides solicitation participants an incentive to  
21 contain costs while preserving a stakeholder's ability to  
22 challenge rate outcomes that they believe may be unjust and  
23 unreasonable. Moreover the Commission could provide a  
24 degree of certainty to developers without binding its hands  
25 with the Mobile Sierra Doctrine or requiring that

1 stakeholders overcome the heightened mobile CRS standard of  
2 review.

3           In creating this rebuttal presumption the  
4 Commission would not cede its ratemaking authority to  
5 another entity but would instead shift its focus toward  
6 promoting effective competitive processes and away from  
7 adjudicating debates over individual outcomes. BHE U.S.  
8 Transmission has proposed in our preconference comments  
9 specific criteria for evaluating whether a selection process  
10 is competitive focusing on whether the process is open,  
11 clear and objective. These criteria are consistent with the  
12 concepts enumerated in Order 74 with an additional emphasis  
13 on transparency.

14           Additionally, this proposal would not obligate  
15 planning organizations to assign any particular level of  
16 value to cost or cost containment. Our proposal makes it  
17 possible for developers to offer an array of options in this  
18 regard, the selection of which would always be subject to  
19 the preferences of the particular region and its  
20 stakeholders. However, by adopting proposed evaluation  
21 criteria, the Commission would lend support and guidance to  
22 regional planning organizations that are already taking  
23 steps to improve competitive solicitations along the same  
24 trajectory.

25           We appreciate the opportunity for this discussion

1 and look forward to your questions, thank you.

2 MR. ADDEPALLI: Good afternoon, Chairman and  
3 Commissioners. My name is Raj Addepalli. I'm the managing  
4 Director of rates and service at the New York State Public  
5 Service Commission. First, thank you for hosting this  
6 technical conference and thank you for allowing me to be on  
7 this Panel. Cost-containment for transmission is a very  
8 timely topic for us in New York. We have two public policy  
9 solicitations in play currently with potential total  
10 investment ranging over a billion dollars. The New York ISO  
11 is about to start its second cycle soliciting additional  
12 ideas for public policy projects.

13 Currently the New York Commission is considering  
14 a proposal to meet 50 percent of customer consumption from  
15 renewables by 2030 and to accomplish this goal it's likely  
16 there will be need for more transmission to help move  
17 renewable from sources onshore and offshore. So based on  
18 the two that we have in front of us, there are some lessons  
19 learned that I wanted to recite and see if they can be  
20 helpful.

21 In the first case, we have invited developers  
22 before even the FERC Order One Thousand was finalized to  
23 submit proposals to move a thousand megawatts of power from  
24 upstate to downstate. In addition to the incumbent there  
25 are other developers who came forward. We appreciate that

1 but all the proposals or most of the proposals require  
2 extending the existing rights-of-way and that led to an  
3 enormous amount of consumer concern and community concerns  
4 and we had to go back and ask developers to take another  
5 look at their proposals to see if they could come up with  
6 designs that would limit them to the existing rights-of-way  
7 to minimize community opposition and concerns.

8           The developers did respond positively and came  
9 back with designs that pretty much stayed within the  
10 rights-of-way. So the first lesson to learn is in terms of  
11 siting and scoping just to get a better feel for it before  
12 we jump in and spend a lot of time.

13           Second, the stakeholders have demanded that we do  
14 a solid benefit-cost analysis for these investments, that  
15 the benefits exceed costs. Thanks to the New York ISO, an  
16 analysis was done to the benefit roughly in the ballpark of  
17 1.2 billion dollars in future benefits as a result of the  
18 investment. That's where it leads to the conclusion you  
19 shouldn't be spending more than that, otherwise the project  
20 may be uneconomic. So that sort of leads you to should  
21 there be some kind of cost cap or containment provisions to  
22 bring discipline to the costs that go into the project.

23           And the third, New York is perhaps unique. We do  
24 look at not just transmission but other choices, generation  
25 and demand responds to alternatives to be considered in the

1 selection process. There have been advocates who ask that  
2 we look at them seriously to promote those instead of  
3 transmission. That again provides a benefit cost analysis  
4 and cost discipline for the numbers that we are using.  
5 Given these I think we believe cost containment is an  
6 important variable that should be considered in this  
7 selection of projects. And in fact we have suggested that  
8 the developers put in bids in one of the existing policy  
9 projects with an 80/20 percent sharing but that any cost  
10 overruns beyond the estimate should be shared 20 percent.  
11 It's a symmetric mechanism to discipline costs.

12 We believe the RTO ISO should accord such  
13 cost-containment proposals, the appropriate weight in  
14 selecting the project and the tariffs as we discussed in the  
15 last panel should ensure that an enforcement mechanism is  
16 included to make sure the developers bids are binding. An  
17 issue we may discuss further is how does this play into  
18 return on equity and capital structure when they put in the  
19 bids. If they do not know what it is that they may be  
20 averted by FERC, that should be a variable whether they get  
21 the approval ahead of time from you on the capital structure  
22 and the returns that would be allowed for the project and  
23 then they would use that information to put in their bids or  
24 --

25 MR. TOBENKIN: Please try and conclude your



1 remarks.

2 MR. ADDEPALLI: So with that, again I want to  
3 emphasize that cost-containment should be an important  
4 variable in the selection of transmission projects and I  
5 look forward to the discussion.

6 CHAIRMAN BAY: Thank you, Raj. For this round of  
7 questioning we'll start with Collette.

8 COMMISSIONER HONORABLE: Well, why thank you, Mr.  
9 Chairman. So just before the break I was letting the two of  
10 them have it saying "by the time you get to me you've asked  
11 all of my questions". It's Christmas in June, thank you Mr.  
12 Chairman.

13 CHAIRMAN BAY: Well, I also want to thank Tony  
14 and Cheryl because they agreed to reverse the order.

15 COMMISSIONER HONORABLE: So we did this for the  
16 Clean Power Plan as well, thank you. So I appreciate the  
17 comments that you all have submitted as well as your  
18 comments made here today. I wanted to start in jest by  
19 saying "tell us what you really think". Some of you had  
20 very firm opinions about our pathway forward and I want to  
21 explore those.

22 Craig I'd like to start with taking your  
23 hypothetical further because we really are at a crossroads.  
24 I seek cost caps as one tool to aide in providing  
25 transparency and certainty with regard to cost. One tool

1 and there are many. But, with your hypothetical you were  
2 concerned that bringing this matter to FERC, if we decided  
3 that the cost cap was inappropriate or not just and  
4 reasonable then the developer may walk away, which could be  
5 the case.

6           What is our pathway forward then and I want to  
7 invite the other panelists to weigh in on your thoughts  
8 about what this future world looks like as we determine the  
9 right role of the regions along with stakeholder involvement  
10 and the regulatory role because we don't want developers,  
11 particularly ones that are well-qualified and experienced to  
12 walk away but at the same time we're in the process of  
13 developing competitive processes to ensure that we have  
14 others who can step in if needed.

15           So I want to ask you first to respond and I would  
16 love to hear from the other panelists as well.

17           MR. GLAZER: Thank you for that great question.  
18 It's been a long time since I've actually done a rate case.  
19 Fortunately I don't have to do those anymore but it's a very  
20 long process at the Commission, as you know it's a very  
21 fact-intensive process. Often cases get sent to AOJs,  
22 settlement conferences, etc. All a fine process, but here  
23 given the fact that we've got this competitive proposal.

24           I guess my request is some more early action from  
25 the Commission in this because one problem in this scenario

1 that I didn't get to mention while all this is going on and  
2 we're debating and is the developer going to walk or not,  
3 we're trying to get a project built. Especially if it's a  
4 liability project we might have wasted a lot of time and  
5 worse yet at the end we may end up just giving it to the TO  
6 and then the consumer still ends up paying the cost to the  
7 developer who walked away. Kind of an ironic result, so my  
8 plea in terms of solutions which is the heart of your  
9 question, build in some processes outside of the traditional  
10 send it to an AOJ, suspend it for five months to get early  
11 action on the cost cap and it's reasonableness.

12 COMMISSIONER HONORABLE: Thank you and I'd like  
13 to thank the representative from LS Power on the last panel  
14 who referenced our quick action in one docket but we  
15 certainly haven't mastered that in all areas. I'll take  
16 that constructively so thank you for the recommendation.  
17 Edward.

18 MR. TATUM: Well, Craig as I sat and listened to  
19 your hypothetical I said "well, what do you mean they might  
20 not want to build it?" because as I'm looking at these, the  
21 ones I'm thinking about are actually to address known  
22 reliability constraints and in our old model I guess I was  
23 coming up with and remembering we had this idea of the  
24 transmission are under obligation to built and I was  
25 thinking that "gee, I was kind of hoping that would go along

1 with it especially if a competitive project was indeed  
2 designed to solve reliability concerns. But in the path  
3 forward though, and I did like what you said on this panel.

4 The glimmers of hope and opportunity I think are  
5 in making sure that we've got a sufficiently robust Order  
6 One Thousand overall planning process. Holistically, we're  
7 making sure that we see everything. Every opportunity to  
8 address a problem, have a good understanding of the nature  
9 of the problems, have a good understanding of the  
10 alternatives brought to bear, have a lot of people at the  
11 table so they can really go through that. I like the idea  
12 of having some guidance.

13 I know that we've had the whole spectrum on the  
14 last panel but we do need some guidance here. This is a new  
15 process. We've never done stuff like this before. We're  
16 still trying to figure out how to plan in a deregulated  
17 world so I would take those.

18 COMMISSIONER HONORABLE: I'm going to try Mr.  
19 Sundararajan.

20 MR. SUNDARARAJAN: Thank you, Commissioner. The  
21 way we actually see this is as I think Ed was mentioning, as  
22 an incumbent or a non-incumbent, we firmly believe there's  
23 an obligation to build to the extent I think to Craig's  
24 hypothetical question of when you propose a cost cap and the  
25 Commission deems that the cost cap is not just and

1 reasonable our fundamental premise would be that the cost  
2 cap would be eliminated and you operate in the cost of  
3 service environment. So as of this project was  
4 awarded when there are two filters to it. One is the first  
5 determined that the cost cap was efficient because that's  
6 the reason why they were rewarded the project as compared to  
7 others. Secondly they actually were awarded the project and  
8 then you come back to the Commission and say the Commission  
9 actually thinks that the cost cap was based on all of the  
10 evidence provided by the stakeholders that the current cost  
11 cap was excessive for lack of a better word. Then you would  
12 say the cost cap is no longer reasonable we will just  
13 operate on a cost of service base environment which is no  
14 different from any other project that they are building.

15 In our opinion that'll be the typical way they  
16 would think about these projects as opposed to a treatment  
17 of different kinds of rates for a comparative project that  
18 is different from a cost of service project.

19 MR. HUGHES: I think my first word of advice is  
20 don't exaggerate what you can get with competition and  
21 you're not creating a competitive market. My definition of  
22 competitive market for electricity would be one in which we  
23 don't need the Federal Power Act and your agency anymore.  
24 When you folks implement competitive practices under the  
25 Federal Power Act it often results in more regulation,

1 certainly an awful lot of work for Joe Bowring and David  
2 Patton.

3           To me, it's counterintuitive and so kind of tone  
4 down what you think you're going to get out of competition  
5 you know because the developers are going to try to drive a  
6 truck through that and extract an awful lot of money as a  
7 premium for getting something that you can say is  
8 competitive. So I would just urge you to be careful on  
9 that. Our belief is still go to a rate case and let's trade  
10 horses on all the variety of issues that are involved in  
11 this and that includes any form of incentive, any form of  
12 any special rate treatment, any form of price cap.  
13 We're not necessarily excluding them but there's got to be a  
14 very strong test that they're absolutely necessary to  
15 accomplish the objective and not just a fear that the  
16 developer is going to call your bluff and say "we're going  
17 to walk".

18           COMMISSIONER HONORABLE: I'm shocked and I'm  
19 going to move onto the second question. So I'm going to  
20 invoke Craig again because on the previous panel -- is  
21 someone's microphone still on? In the previous panel, Craig  
22 Glazer's issue of his concern being RTO of taking on a  
23 regulatory role and the fact that they don't want to do  
24 that. I appreciate that Craig, heard it loud and clear.

25           Well, then here in this panel I heard from a

1 couple of you, the gentleman from ITC and from Berkshire  
2 Hathaway that you would implore the Commission to allow the  
3 creation of a rebuttable presumption that proposals selected  
4 through the competitive process are just and reasonable and  
5 also entitled to the Heighten Mobile Sierra standard if  
6 challenged. So I have a very simple question. Why? Why  
7 should we favor that perspective and then I'd ask the other  
8 panelists to weigh in. Thank you, gentlemen.

9 MR. HARVILL: Yes, harkening back to my prepared  
10 comments I mentioned the word symmetry and as I look at the  
11 Order One Thousand process as it's developed across the  
12 country, the last panel was notable in the sense that there  
13 were a lot of diverging opinions. I think that was  
14 reflective of the fact that you have many different ways of  
15 approaching Order One Thousand if this Commission is  
16 approved.

17 As a developer one of the things that we find  
18 challenging is that there is an asymmetry that exists today  
19 when it comes to cost-containment and ultimately what we  
20 would bid in a competitive process for a particularly  
21 project and what I mean by that is that if we're allowed to  
22 bid on a project and propose a cost cap and we're ultimately  
23 held to that cost cap for the life of the project but yet  
24 parties are allowed to avail themselves of the 206 complaint  
25 case to come in 5, 10, 15 years down the road and say "those

1 costs are no longer just and reasonable".

2           The original presumption under which we actually  
3 bid that project, constructed that project and have  
4 essentially operated and maintained that project for those  
5 previous five, ten or fifteen years essentially crumbles at  
6 its foundation. There needs to be some kind of recognition  
7 that if we are bidding a project for a 40-year, essentially  
8 the course of a 40-year total revenue requirement as many of  
9 the RTOs have proposed and have put in place then there  
10 needs to be some certainty over that period of time that  
11 parties can't come in then and challenge that over a  
12 subsequent time period.

13           I can guarantee you also that as we go through  
14 this process that if a party like ITC were to propose a  
15 project, propose a cost cap and a specific return or  
16 specific capital structure, I don't believe we could avail  
17 ourselves with the 205 process and to come in and raise that  
18 rate either. So again, going back to that symmetry all  
19 we're asking for it that if we bid something beginning the  
20 process essentially that could be held to be the standard to  
21 be the life of that project if that's the process the  
22 Commission has put in place or the RTO's have put in place  
23 that the Commission has improved.

24           I'd also note if you look even beyond the borders  
25 of the United States, everywhere they have competitive



1 processes established for transmission it's a process  
2 whereby you bid essentially a full revenue requirement bid  
3 for a project for the life of that project. There is no  
4 presumption that after the project's in operation that you  
5 actually go back and can essentially rebut that and come  
6 back and say "no, the return is too high" at that point in  
7 time.

8 COMMISSIONER HONORABLE: John.

9 MR. CUPPERO: I would like to clarify my comments  
10 because I did say that establish rebuttable presumption but  
11 because there is evaluation criteria or guidance around  
12 evaluation criteria. A challenge to that wouldn't  
13 necessarily have to beat the Mobile Sierra Standard but  
14 would have to, the burden of proof would be against that  
15 competitive process and the criteria that was used in the  
16 spirit of all bidders.

17 In terms of why we believe that, I think, a very  
18 simple example, these are procurement processes like  
19 procurement that we've done for years and I think an example  
20 has been provided on this panel. Typically if you enter  
21 into a procurement process and you enter into a fixed bid  
22 contract, that contract carries the entire weight of that  
23 relationship between the bidder and the entity and the  
24 entity in this case would be the RTO.

25 So we believe that should be preserved unless

1 there was something significantly flawed in terms of the  
2 process or the way that contract was termed.  
3 Double-jeopardy I guess would be another way to state that  
4 for both the developers in the ISO.

5 COMMISSIONER HONORABLE: What I hear you both  
6 saying is you would be, otherwise the developers being held  
7 to a more rigid process going forward while others are not.  
8 They can come in and file 206 and other things. So I had  
9 done in my past life some work and bidding litigation and  
10 there's plenty of that too unfortunately. But your points  
11 are both well-taken and I'd like to hear from the other  
12 members of the panel. Raj?

13 MR. ADDEPALLI: As a fellow regulator I feel the  
14 more regulatory certainty you can provide to the process and  
15 to the developers the lower cost of capital will be and the  
16 lower the cost of the project will be. So anything we can  
17 do collectively to reduce the risk of deregulatory  
18 uncertainty that would be very helpful.

19 COMMISSIONER HONORABLE: Thank you. Do you also  
20 believe as a regulator that ensuring that there is an open  
21 and transparent process for the challenge of such bids is  
22 also in the public interest and serves.

23 MR. ADDEPALLI: Absolutely, there should be room  
24 for that. That said, the processes and the transparency in  
25 the process is important to give everybody comfort, the

1 rules of the road, what they are and that they are being  
2 followed.

3 COMMISSIONER HONORABLE: For everyone.

4 MR. ADDEPALLI: Yes.

5 COMMISSIONER HONORABLE: Thank you. Raja.

6 MR. SUNDARARAJAN: We from AEP view this a little  
7 differently. We actually see that at least two processes  
8 that ITC is referring to MISO and SBP process that it is  
9 fundamentally forecast 40-year revenue requirements. It is  
10 by no means is a fixed revenue bid that is being implemented  
11 in other parts outside of the United States. Those are  
12 merely an attempt to forecast what an entities revenue  
13 requirement will be over the span of 40 years. We view that  
14 fundamentally differently than between and fixed and a bid.

15 The second thing I would like to caution is well  
16 let's talk about an entity that actually submits, an  
17 incumbent entity that has negotiated a raise, including ROEs  
18 and everything else that the negotiator as part of the  
19 settlement package for all other foundation projects. How  
20 do you actually change that contract for a specific project  
21 and you actually -- we talk about symmetry from a developer  
22 not from an incumbent point of view. I think by the same  
23 logic you should have made sure this incumbent is no less  
24 disadvantaged or is not disadvantaged in the same process  
25 because of a higher threshold that is being set up by the

1 developer.

2 We view that fundamentally that would be the  
3 primary reason why. The fact that we have an incumbent  
4 entity that actually has negotiated rates and reached an  
5 agreement of ROE and cap structure through a settlement  
6 process of regular stakeholders, now suddenly able to  
7 deviate that and for a comparative project apply a different  
8 contract that is different for a full project as opposed to  
9 a -- project, we feel that to be a different contract.

10 That's why we actually view this as two points,  
11 one is the MISO SBP are merely a forecast that do not fix  
12 any requirements by any imagination. The second thing is  
13 the fact that clarity should apply to both sides. A  
14 non-incumbent should be able to apply the same rates that  
15 the developer actually has in this case.

16 COMMISSIONER HONORABLE: Thank you. I appreciate  
17 you raising that point. Edward?

18 MR. TATUM: I might take a different approach to  
19 the first two commenters on this. I think that from  
20 standpoint of the theory behind it is if you've got real  
21 competition and if you've got all the transparency then  
22 perhaps you could do something like this. I think the state  
23 of the play right now is we don't necessarily have all of  
24 those things, nor do we have a lot of the details worked out  
25 as to how costs would be formed, how costs might have to be

1 changed back and forth.

2 A public power guy throughout my entire career,  
3 if you were going to have your actual cost to construct  
4 something and you were going to then be able to recover  
5 either your actual or your hypothetical debt as well as the  
6 return on equity, those are still some nice components there  
7 that provide I was hoping overall rate return that would  
8 incent people to build regardless of whether it's a  
9 competitive project or not. So coming up with a resumption  
10 of benefit to consumers I think that's a hard one to take at  
11 this point of our play.

12 COMMISSIONER HONORABLE: Now I wondered when that  
13 tin card would go up. Let me guess what you're going to  
14 say.

15 (Laughter)

16 I have a 15-year-old and I should --

17 MR. CUPPARO: I wanted to give him his chance.

18 (Laughter)

19 COMMISSIONER HONORABLE: I have a 15-year-old.  
20 You're telling me I should not pay her for good grades?  
21 That's what you're saying?

22 MR. CUPPARO: I would just let it go one step  
23 beyond what Ed said and say you know, given the lack of  
24 transparency you can, given how a lot of what's going on in  
25 some of the RTOs is nothing more than a food fight when it

1 comes to trying to decide these projects. We think right  
2 now, we fear that any cost cap or cost-containment proposal  
3 is nothing but a Trojan horse from the perspective of the  
4 consumers. You know, who knows what's buried in the  
5 exemptions and other provisions that are there.

6           Regarding symmetry, you know cost of service if  
7 done right is marvelously symmetrical if the costs  
8 legitimately and prudently go up in the future the owner of  
9 the asset should be allowed to recover those with a fair  
10 rate of return. So our faith is in the beauty of the fact  
11 that we live in a capitalist society and innovation is  
12 ongoing and increases over time.           Therefore our  
13 expectation is for costs to go down over time and so we want  
14 the benefit of those. Developers know that and they don't  
15 want, they want to lock in the higher costs that are endemic  
16 right now, forever. So that's basically our concern.

17           COMMISSIONER HONORABLE: Thank you and Mr.  
18 Chairman thank you for the opportunity to inquire.

19           CHAIRMAN BAY: Thank you Collette. Tony?

20           COMMISSIONER CLARK: Thanks. Just a few  
21 questions. First for John and Ed because I want to make  
22 sure that I'm understanding your position with regard to  
23 cost-containment measures generically. Is your position  
24 "well we just don't think cost containment is a good idea?  
25 It's just a rabbit hole we don't want to go down for all

1 sorts of reasons." Or is it, which would mean "we don't  
2 even think transmission developers should be putting in cost  
3 containment type bids through the Order One Thousand  
4 planning process." Or is it "well that's all fine and well  
5 if you want to commit to certain cost containment measures  
6 as long as it doesn't as part of a package inhibit our  
7 future 206 filing rights to have a regular full cost of  
8 service case?"

9 MR. TATUM: John I'll start and if I may, thank  
10 you for that. No I think that cost containment is a good  
11 idea. I think there's opportunities for it but I wonder  
12 about how it's going to work. You know, what's the devil,  
13 where's the details? How is that going to all work there?

14 I'll just give you an example, in PJM they have  
15 the sponsorship model, which is great. I mean and the first  
16 panel talked about that a lot. A lot of great ideas. How  
17 best, we've got a problem here, how best to solve it? but  
18 then when we're taking a look at it and we pick a project  
19 from that I'm comparing apples to oranges to maybe a  
20 watermelon or a kumquat somewhere. It's really hard to say  
21 what is the best of those projects.

22 Now if you go into the bid models, I guess they  
23 call them sometimes solicitation models. We've got a  
24 project. Say we need 115 KB line from A to B. You all get  
25 in there and build it. And then all of a sudden if you had

1 lots of people bidding on it and if they're really  
2 sharpening their pencils and getting down to it and if we as  
3 the stakeholders and you all as a Commission have a good  
4 understanding of in general, what's the current cost per  
5 mile of transmission line? What's the current cost to build  
6 a rocky foundation back and forth? We can make a good  
7 decision that yes, that's a good cost containment. But  
8 absent those types of things I think it might be difficult.

9           The other thing and I appreciate what you said is  
10 about the perpetuity of it. we think that something lasting  
11 over 20 years would be set for life is something that  
12 shouldn't be there. You should have the ability to go after  
13 a 206 and seek to get it back in line.

14           COMMISSIONER CLARK: Okay, thanks. John.

15           MR. CUPPARO: I guess what puzzles me is why cost  
16 containment has been so elevated as being so extraordinary  
17 in this industry. Why isn't it just the normal way of doing  
18 business and why don't regulators treat it as such and have  
19 regular expectation; this is what they should be doing. Not  
20 something that's extraordinary that's got to be lavished  
21 with what former Commissioner that used to sit up here, used  
22 to call "FERC candy".

23           COMMISSIONER CLARK: But is it a question of  
24 regulators or and I suspect the reason it's become such a  
25 big issue is that the projects have gotten picked in the



1 planning regions at least in part on the basis of the fact  
2 that they had some sort of cost containment measures. So is  
3 your position simply that cost containment doesn't work so  
4 why go there? Or -- I mean in that case I think it would be  
5 FERC rather proactively stepping out and saying "Regions,  
6 don't even look at cost containment. Not even if they  
7 picked a project developer off the top.

8 MR. CUPPARO: I think the burden on you has to be  
9 that, show us the benefits okay and in light of that --  
10 again, why isn't the normal expectation contained cost be  
11 part of the normal way that regulators expect utilities to  
12 behave. I'm just aghast that somehow they're not expected  
13 to contain their cost. Now I can appreciate the need for  
14 very extraordinary, actual really extraordinary conditions  
15 but identify those. It shouldn't be just run-of-the-mill  
16 transmission projects.

17 COMMISSIONER CLARK: So.

18 MR. CUPPARO: I mean LCON was in the position  
19 when Order One Thousand was adjudicated. We opposed  
20 eliminating right of first refusal. We thought the  
21 incumbents would probably in the long run do a better job.  
22 I think most of my members would probably still feel that  
23 way. I know some of them are vindicated but very much so by  
24 looking at their bills every month and how much transmission  
25 costs have been escalating over the past several years and

1 seeing absolutely no benefit for it.

2 COMMISSIONER CLARK: Yes, it seems like there are  
3 two issues being discussed and debated on the Panel. One is  
4 the theoretical issue of cost containment themselves. I  
5 think it's probably hard to make a case when a developer  
6 says "Hey I'm going to limit myself to this" because they  
7 don't do that. Like somebody named Craig from the first  
8 Panel said "if you were a former regulator and someone's  
9 going to offer you it's hard to say no."

10 So then that theoretical assumption becomes a  
11 question. Okay, if you're going to have cost containment  
12 how do you structure it in such a way that it makes sense?  
13 Can it be structured in such a way that it makes sense? Can  
14 it be transparent so there's apples to apples comparison?  
15 It's all the things we talked about there.

16 There's a second issue that I think is being  
17 discussed here which is really more of a, it's an old  
18 regulatory theory debate, which is the theory of price cap  
19 regulation I think FERC parlance we call it, what fixed  
20 revenue requirement-type regulation which is the separate  
21 sort of subset of the debate. I have a question under that  
22 subset for anyone on the Panel who wants to take it up,  
23 setting aside the policy issue of price cap regulation which  
24 I think we all sort of know the tradeoffs and costs and  
25 benefits. It's been used somewhat internationally. It's

1 been used in the telecom industry, it's I mean something  
2 those are what regulators are familiar with.

3 I'm interested in seeing if anyone has any  
4 comment with regard to not the policy of cost cap or price  
5 cap but is it permissible under the Federal Power Act  
6 because those questions have been raised. So even if the  
7 Commission bought off on the idea and said "hey, I think  
8 this would make sense." Are there statutory hurdles that  
9 prevent us from getting there in terms of a just and  
10 reasonable rate under the FPA itself or are there things  
11 that where there are FERCs own rules and precedent that  
12 prevents us from getting there? Ed? I think you may have  
13 teed this up when you --

14 MR. TATUM: I didn't mean to.

15 (Laughter)

16 As the electrical engineer on the Panel, I will  
17 just briefly say that we spend a lot of time in dealing with  
18 markets and back and forth and a presumption that  
19 competition in markets will provide just and reasonable  
20 rates so I think what you're teeing up there is another  
21 variation of that discussion for transmission and it's  
22 interesting because transmission is indeed a regulated asset  
23 and so with all due respect, that's as far as I go with  
24 that.

25 I would like though if I may just to be very

1 clear with our position on cost and price caps and back and  
2 forth. We're not saying don't do it. We're not saying you  
3 shouldn't look at it. We're not saying we shouldn't try to  
4 figure it out. What we're saying is that there's a lot of  
5 additional work we need to do and understand. There is a  
6 lot of reality that we're going to have to deal with. If we  
7 really, you have an order 784 I believe which has some  
8 principles? Well, let's make sure that we can satisfy those  
9 principles and that would be a prerequisite.

10 As John was saying and I touched off a little bit  
11 is I think we should be taking a look at the cost not just  
12 for these competitive projects but the ones that aren't  
13 because as a transmission planner, even when we plan them,  
14 we don't know. They are fairly broad cost estimates. You  
15 can see costs coming in either higher or lower dependent on  
16 the situation.

17 COMMISSIONER CLARK: Craig.

18 MR. GLAZER: Yes, just thinking about this. I  
19 think it's a great question. When you think back to the old  
20 days, when did cost caps get resolved, they got resolved in  
21 settlement conferences probably down the hall here as part  
22 of a rate case. It was negotiated. It was part of the deal  
23 "Okay, I would do a cost cap."

24 Now what's happened is we've sort of moved that  
25 up and we've made it part of the selection process. that's

1 not a bad thing to do but as part of that we're also  
2 eliminating other projects that might have come because we  
3 chose Project A because we the RTO liked it's cost cap. The  
4 problem is what about all those people who were in that room  
5 before that still want to get their bite at the apple that  
6 are kind of not there anymore but they want to be there so I  
7 think we've got to come up with some newer processes.

8 I don't think you would go back to the old days  
9 but I think we're merging something of "wait, get to the  
10 rate case, do it down the hall in the settlement conference"  
11 versus "if we're going to push it up in the selection  
12 process, give everybody their say through some kind of  
13 process". On the other hand, don't let the selection  
14 process turn into a rate case on the other hand. That's the  
15 rub here.

16 So maybe it's like we suggested, maybe just in  
17 close calls where the selection is actually coming down  
18 through the cost cap. Which isn't that many quite frankly.  
19 There are lots of other reasons to exclude projects, make  
20 choices before we even get to the cost cap but in those  
21 where it's a close call, maybe those ought to come with some  
22 kind of mini process here so all the people that were down  
23 the hall can get their say before it's a fait accompli.

24 COMMISSIONER CLARK: Raja?

25 MR. SUNDARARAJAN: Commissioner, to your point.

1 We actually view the price caps element to be, I believe  
2 that the Commission can clarify to the extent  
3 cost-containment mechanisms are considered in the selection  
4 process be limited to capital costs as opposed to cost of  
5 capital. I think that will go a long way. Because in our  
6 opinion right now there's mixing and matching of issues.  
7 One of the capital cost which is actual cost of the project  
8 and the cost of capital being the cap structure, the ROE,  
9 the cost of debt, those get into the fixed APRR and along  
10 the O and M costs.

11 COMMISSIONER CLARK: Yes.

12 MR. SUNDARARAJAN: I think that fundamentally  
13 poses a different set of issues which is different from the  
14 capital cost of the project. Capital costs of the project  
15 can be allocated through vendor negotiations or contracted  
16 with suppliers albeit it has its own issues surrounding it  
17 but that issue is much, much smaller than comparing two  
18 entities ROEs. One with the settled rate and one entity  
19 wants to live with it at ROE for the next 40 years. Another  
20 entity with a floating ROE, somebody's got to forecast what  
21 the capital conditions will be and the cost of equity will  
22 be over 40 years. Good luck. I mean what the Brexit is for  
23 lack of a better word.

24 (Laughter)

25 But my point being is I think to the extent the

1 Commission can clarify that the RTOs when they make a  
2 selection be limited to capital costs as supposed to cost of  
3 capital. In my opinion the MISO SPP forecast of APPR  
4 becomes a much simpler equation because then the arc in the  
5 ROE doesn't come into the mix, the actual cap structure  
6 doesn't come into the mix. A lot of the issues that are  
7 being negotiated through incumbents versus non-incumbents  
8 issues, doesn't come into the mix because the ROEs are  
9 present. The ROEs are a nonfactor for selection and the cap  
10 structure is a non-factor for selection. So I will actually  
11 you know, that's the one thing that we would like to propose  
12 is to the extent the Commission can clarify that and they  
13 will.

14 COMMISSIONER CLARK: Thank you. That's helpful.  
15 John?

16 MR. CUPPARO: On the longevity issue, I wonder  
17 how much you can bind future Commissions? I mean just what  
18 you're trying to do right now, I'm surmising that you know  
19 kind of changed a regulatory paradigm today because of all  
20 the changes in the economy and the technology compared to  
21 what took place maybe ten years from now. Ten years from  
22 now people sitting over here may want to undo what you're  
23 trying to do today. So you need that regulatory flexibility  
24 and I'm pretty sure the Federal Power Act was a masterful  
25 document given when it was written and how it was written it

1 has that flexibility in it and if it's not it should be in  
2 there.

3 COMMISSIONER CLARK: Raj?

4 MR. ADDEPELLI: Initially starting off with just  
5 limiting the cost containment to the installed cost to the  
6 up-front cost is fine but we've got to be careful about  
7 developers seeking significantly enhanced returns to  
8 compensate that risk on the other side that consumers may be  
9 net worse off. So it gets a little bit more complicated but  
10 that could be a first step before we are going to maybe  
11 getting a fixed revenue requirement for a period of time.

12 COMMISSIONER CLARK: Terry.

13 MR. HARVILL: I think, just responding quickly to  
14 that. I think that what that does is it puts it in the  
15 proper forum for the Commission to make that determination  
16 so that if a project that a developer has proposed is indeed  
17 riskier for whatever reason, it's then up to the Commission  
18 to make that determination and say yes there is enhanced  
19 risks so there should be an enhanced return associated with  
20 that. It also addresses John's concerns about incentives  
21 and whether actually you need an incentive for that type of  
22 a project because I do think there are going to be  
23 situations where there are projects that are attractive  
24 enough to a developer or a group of developers such that you  
25 know, they're going to be bidding as aggressively as they



1 can.

2 If developer number one doesn't want the project  
3 because of a Commission determination there is probably  
4 going to be 2 or 3 more standing by to take its place.

5 COMMISSIONER CLARK: Thanks for all the very  
6 thoughtful responses. The second part of discussion which  
7 we got into really did intrigue me when ITC had the PDO that  
8 was before the Commission. I thought ITC really raised some  
9 interesting points with regard to the asymmetry that you  
10 talked about, Terry. That probably just wasn't the right  
11 venue to vet all of these things out. Having this kind of  
12 tech conference I think does help a lot in trying to  
13 understand and come to grips with what a change in  
14 Commission policy would be and how it could be effectuated  
15 so thanks to everybody.

16 CHAIRMAN BAY: Thank you, Tony. Cheryl.

17 COMMISSIONER LEFLEUR: Thank you, Norman. I know  
18 I'm supposed to ask questions and I will but I want to start  
19 with an answer, at least to try to answer a question that  
20 John Hughes asked. I think you're absolutely right that  
21 under a cost-of-service regime regulators are supposed to  
22 look and try to make sure that cost control was applied and  
23 that costs that go through are prudent and that things are  
24 used and useful and etc, etc, etc. That's what cost of  
25 service regulation is all about. The premise of Order One

1 Thousand which the majority of Commissioners agreed with at  
2 that time was that if we inched this competition there might  
3 be savings for customers and better projects come out to try  
4 to use those competitive forces than cost or service. That  
5 was the premise, which we have freedom of thought in this  
6 room and freedom of thought in our dockets. Not everyone  
7 has to agree with that, but it's striking to me in the last  
8 panel we were in love with cost caps.

9 (Laughter)

10 We had two regions that have done most of the  
11 competitive bidding extolling how good it's been for  
12 customers and several developers and now that we're talking  
13 about paying for them --

14 (Laughter)

15 The ardor has dimmed very considerably on this  
16 panel.

17 (Laughter)

18 With that, my first question, I want to come back  
19 to the timing question that I think Craig teed up so you  
20 have in the old bidding trends, doing a transmission project  
21 they either have a formula rate or they would come in for  
22 incentives or ROE or some clarification but they would know  
23 they were doing the project and then we would just evaluate  
24 the project vis- -vis the company.

25 Now you have a process where developers be they

1 incumbents or non-incumbents are trying to bid in to say  
2 "this is what I need to build this project" and if the rate  
3 case or whatever it is that the Commission follows you have  
4 a timing mismatch between people being able and I'm  
5 interested if you think there are things, any of you think  
6 there are things that we can do to address that be they more  
7 generic clarification on some of the non-ROE incentives,  
8 abandonment and quip; I think that was teed up in some of  
9 the comments whether it's some kind of quickie process to  
10 weigh in on things or holding something in advance because  
11 obviously you can't have somebody bidding or it seems  
12 illogical to have somebody bidding in and saying "give me  
13 this thing, I can do it for this price" and then coming to  
14 the Commission and saying "I just took so much risk. Give  
15 me more money". I mean that's obviously a circle, so  
16 comments?

17 MR. GLAZER: Two I'll raise. One is I think  
18 there's no perfect answer here, but I think two ways to sort  
19 of manage the problem. There's one point that I think Raja  
20 from AEP raised which is at least in the selection process  
21 if we limited it to capital costs, construction costs, that  
22 would at least bound the problem instead of the RTO taking  
23 testimony on what the future ROE is going to be 40 years  
24 from now and making prognostications.

25 So I think that combined then with, and again,

1 this is not every case. Some, what I call it, a declaratory  
2 judgment action, some way we can come to you for a  
3 resolution just on the cost cap, say it's two competing  
4 proposals and exclusions which are half the battle is just  
5 what's excluded from the cost cap, never mind what's in the  
6 cost cap. I think those two might help to sort of bound the  
7 problem. Then later there will be a rate case. People can  
8 fight about ROE and incentives and all that.  
9 They're still parts of the project but at least we've  
10 isolated the competitive selection process to something  
11 that's a little more manageable.

12 COMMISSIONER LEFLEUR: But I thought in that case  
13 you were coming forward not to get some rate clarity from  
14 the Commission but just getting a Commission imperator on  
15 the selection you know to avoid later dispute. So is in  
16 that hypothetical you just said was there ever any actual  
17 rate issue we'd have to --

18 MR. GLAZER: It would be in review of the cost  
19 cap and the exclusions to the cost cap and whether those are  
20 reasonable. So it's not the ultimate rate.

21 COMMISSIONER LEFLEUR: Okay.

22 MR. GLAZER: You will need a lot of due process  
23 for the ultimate rate but at least eyeballing it and again  
24 the exclusions are as much a big deal with this as the  
25 actual number because people can low-ball the number and

1 have lots of exclusions.

2 COMMISSIONER LEFLEUR: And if we were to say  
3 because of this timing issue that we don't want any fixed  
4 rate you know all-in proposals anymore. Those are the ones  
5 where PBR in the UK and some states that Tony referred to if  
6 you do it for less you keep the money, if you do it for more  
7 you lose the money. Do you think we're leaving value on the  
8 table for customers if we say "don't put any of those  
9 proposals. We don't want to hear those. Strictly limit  
10 yourselves to capital costs."

11 MR. GLAZER: Commissioner, great point. Let me  
12 clarify. I think there still is an avenue for those. Those  
13 would come in the rate case itself, the settlement  
14 conference down the hall is the rate case.

15 COMMISSIONER LEFLEUR: You would have already  
16 chosen the project.

17 MR. GLAZER: I would have chosen the project  
18 based on the capital costs but in the question of what's the  
19 right rate if the developer wants to offer a fixed rate  
20 revenue requirement to just end the litigation that's great.  
21 That could happen so I'm sort of separating out that part of  
22 the negotiations from the actual selection because I've got  
23 to get some projects.

24 COMMISSIONER LEFLEUR: Economically you would  
25 think they might bid lower if they had some upside potential

1 as well as downside but I mean maybe that just doesn't fit  
2 in the timing.

3 MR. GLAZER: What I'm into is relatively  
4 uncomplicated what is already a complicated and  
5 time-sensitive part of the process.

6 COMMISSIONER LEFLEUR: Lots of cards are up.  
7 Raj?

8 MR. ADDEPALLI: It seems to me for a developer to  
9 put in a bid and take risks on the installed costs, not  
10 knowing what it is that the Commission is going to give them  
11 in incentive returns seems a little bit not having accurate  
12 information for putting in the rate bid. So this is a  
13 tricky issue perhaps but the developers should get some  
14 guidance ahead of his bid into the RTO ISO projects as to  
15 what cap structure and what kind of returns he should expect  
16 for this kind of a project.

17 To the extent of project parameters are well laid  
18 out is to what is the cost containment? Is it 100, 0, 80,  
19 20, 50/50? What are the exclusions and all of them are  
20 known perhaps the Commission would be in a better position  
21 to judge what is a risk and make a decision on the allowed  
22 returns and caps structure.

23 COMMISSIONER LEFLEUR: We've certainly had  
24 non-incumbents coming in and say "give me some going in  
25 accounting so I can bid" and we seem to be dealing with

1 those, but not specific project funds. Terry, I don't know  
2 who's next. Raja. Whoever had it, I didn't look at the  
3 order.

4 MR. SUNDARANAJAN: From our point of view, and I  
5 think we are the ones who kind of ask for some up-front  
6 clarity on incentives for competitive projects, primarily  
7 the non-ROE incentives because we understand the issue of  
8 ROE incentives because those are: A. project specific; B.  
9 that you know at the end of the day, we understand. These  
10 are cost of service based projects and to that extent we are  
11 putting cost-containment mechanisms we can tailor the cost  
12 containment mechanisms more finely if the up-front clarity  
13 of incentives, especially non-ROE incentives are obtained  
14 from.

15 There are two reasons associated. The one is you  
16 know, given the fact that the non-ROE incentives not only  
17 provides benefits to developers, it also provides benefits  
18 to rate-bearers and there is you know Quick and Abandonment  
19 have provided that certainty to both the rate-bearers and  
20 developers which might disagree with me.

21 But the second aspect is the fact that the  
22 non-ROE incentives is can be more generic. You can come up  
23 with the criteria for a list of projects that will be more  
24 applicable for a non-ROE incentive so that the paperwork  
25 ruling on a project that the project makes might be

1 cumbersome and especially for a sponsorship-based model? It  
2 becomes even more cumbersome in those cases. The idea  
3 itself is totally different. I don't want to reveal the  
4 idea to the Commission because then what good would the idea  
5 be?

6           That other issue is with the sponsorship based  
7 model that makes it even more complicated. When I'm  
8 proposing a cost-cap in cost-containment mechanism along  
9 with the idea itself. So that's why we kind of, when we  
10 thought about it and sat down and said what is the  
11 incremental step that the Commission could take and we felt  
12 that the non-ROE incentives at least coming up with some  
13 criteria for undefined and non-ROE incentives up front, the  
14 competitive process would go a long way, in terms of this.

15

16           MR. HARVILL: In my original prepared comments I  
17 noted one of the important factors for the Commission to  
18 consider is the integrity of the process. From an ITC  
19 perspective you know, we weren't an advocate for the  
20 refusals so we recognize that's what the Commission's policy  
21 is today. We can operate under a sponsorship model, we can  
22 operate under a competitive bidding model. There's a  
23 variety of ways that we can compete. I think the real issue  
24 here is we're trying to put our square peg into a round  
25 hole. We're trying to apply competitive forces to a



1 regulative process.

2           In doing so, you know most competitive processes  
3 as you said this is the lowest bid, the lowest bid wins.  
4 But what we're proposing to do here is this is the lowest  
5 bid and if you don't like the lowest bid well in three years  
6 you can come back and complain about it. You know, I looked  
7 to the generation side of the electric sector. We have a  
8 long history of approving PPAs through our competitive  
9 procurement process. There doesn't seem to be a history  
10 though of second guessing our decisions or the Commission  
11 decisions in that. We approve PPAs for 5, 10, 15, 20 years  
12 and essentially those are held to a standard.

13           So as we sit here today I struggle with not  
14 taking away the flexibility of the RTO because I think what  
15 PJM has put in places is functionally workable. I think  
16 what California has done is workable too. The jury is still  
17 out on SPP and MISO because they are still in the early  
18 stage of this process. but I don't think we can wait  
19 because we do have competitive projects that are being  
20 advanced and if ultimately we are waiting for a point in  
21 time in the future to make a determination as to what's  
22 worked and what hasn't worked I think what you're going to  
23 see is the robustness of the opportunity here to fall away  
24 very quickly.

25           COMMISSIONER LEFLEUR: Ed?

1           MR. TATUM: Thank you, Commissioner. I just  
2 started off saying building on what Craig started us off  
3 with, the capital costs and I like Terry what you said. We  
4 are trying to see if we can do a competitive environment  
5 with a regulated asset. I go back to it. You've got your  
6 actual cost, you're covering your debt and you've got a  
7 return on equity that's set by the Commission. That's  
8 pretty good business and actually people are seeing a lot of  
9 that as we speak. As you listen in on the earnings reports  
10 and focusing where our strategy for growth is to invest on  
11 transmission and putting dollars behind that.

12           So it really comes up to do we really need  
13 incentives at all? Which is as what I raised in my opening  
14 comments. But going back to I think the matter of price  
15 caps and those I think certainly there's a place for that  
16 but as far as upfront information I think the more is better  
17 and we could say okay. Maybe we do have a sponsorship model  
18 and I like when the gentleman from California was talking  
19 about it but he comes to the table and all of a sudden  
20 there's one project and then folks start going to focus in  
21 on that.

22           When you have an ability to compare apples and  
23 apples, then all of a sudden you are getting some  
24 competition there. You are still getting questions, do you  
25 have enough and back and forth. But then you take that

1 additional information with information we're already  
2 capturing. As I talked about before, the estimated just  
3 general cost. What does it cost to construct something?  
4 Trying to track these things on a continuous basis to make  
5 sure that the last time somebody built a 230 KB line it came  
6 in I don't know, I'll make up a number, 1.2 million dollars  
7 a mile for a certain conductor size. Those types of  
8 metrics.

9 I think those are the opportunities where we can  
10 really move forward and take a look and see whether or not  
11 we can really move forward and the benefit of price caps for  
12 transmission.

13 COMMISSIONER LEFLEUR: Yes, John.

14 MR. CUPPARO: I just wanted to reinforce the idea  
15 that transparency is an important part of some of the  
16 comments that are made in any decision that might come  
17 before the Commission and we would encourage similar to the  
18 comments that were made on the last panel and I think  
19 Commission Arnold has said I don't want to be heavy-handed  
20 and so putting more guidance up front in terms of how are  
21 the regions evaluating these bids and what's being valued?  
22 Whether that be a capital cost cap or a revenue requirement  
23 but that's clear. Not necessarily dictating one way or the  
24 other as well as what is considered a traditional set of  
25 exclusions so it's pretty clear what would come under

1 scrutiny if that were to be the case.

2           There are typical things like force majeure and  
3 change in law versus broader exclusions that might be used.

4           COMMISSIONER LEFLEUR: I mean, I think there's an  
5 underlying assumption in a lot of the comments that we're  
6 going to act like we're choosing projects by competition and  
7 then still treat them like old-fashioned cost of service  
8 projects but I thought the generation analogy was apt.  
9 Generation under the Federal Power Act used to come in and  
10 get rates changed. If something went wrong with your power  
11 plant you just came in and told FERC and got more money.  
12 Now we seem to have no trouble holding generators to  
13 long-term rates and long-term contracts and the market  
14 decides what they get.

15           Is there a level of competitive integrity?  
16 Whether it's the 784 standards or something else that we  
17 would be able to look at transmission owners that way  
18 because they reinterpreted the Federal Power Act for  
19 generation and said yes, you have fixed cost. I mean, will  
20 we ever be there?

21           MR. CUPPARO: I think I would agree with Terry's  
22 comments and how you interpret that, Commissioner LeFleur  
23 that there is a history and it's on that precedent that  
24 we've done complex bidding at a lot of different areas of  
25 our businesses and I think that model applies. I think

1 there's a maturity in terms of the process and so guidance  
2 in terms of the maturity of the process will be helpful, not  
3 that we won't get there.

4 COMMISSIONER LEFLEUR: We'll just down and then  
5 I'll shut up. Terry?

6 MR. HARVILL: I think there is, again it goes  
7 back to the rebuttable presumption that was raised earlier.  
8 You know, if the Commission deems that a competitive process  
9 is indeed competitive by evaluating a number of factors, how  
10 many people actually competed for the project and I think  
11 most importantly is the fact that the RTO's for the most  
12 part are experts in transmission planning. That being said,  
13 I think every project has a cost estimate that the RTO has  
14 done. Sometimes they release that publically. Sometimes  
15 they don't. But they're going to know whether or not a 60  
16 million dollar project that's coming in 80 million dollars  
17 with it only being two developers is indeed competitive  
18 because they're doing their own homework.

19 Or in the other cases, if a 60 million dollar  
20 project comes in at 30 million dollars. So I think there  
21 are ways that you can evaluate that but I think ultimately  
22 it's up to the Commission whether it's a 7-day -- or  
23 something else, I think it's there.

24 COMMISSIONER LEFLEUR: John?

25 MR. HUGHES: Generation is a lot more tangible

1 than transmission and so if my members know what they're  
2 getting from generation they don't know what they're getting  
3 from transmission and especially transmission that's sort of  
4 connected with all the big, heroic changes that the industry  
5 is supposed to be making in the next few years for reasons  
6 for which society is very much divided on. So I think  
7 that's part of the problem. Add to it cost allocation.

8 I know that's not really on the table here but my  
9 members are more concerned about cost allocation than how  
10 the projects are selected and the cost allocation they  
11 believe is a disaster with transmission. It hadn't really  
12 been so with generation.

13 COMMISSIONER LEFLEUR: Thank you. Raja?

14

15 MR. SUNDARANAJAN: We actually view the PP  
16 analogy to be a little bit different for the transmission  
17 space given the fact that we actually think that when Order  
18 One Thousand was created it was not trying to discriminate  
19 incumbent and non-incumbent. The PP analogy mostly you have  
20 the long-term PPA rates are under the market base authority  
21 that the Commission is granted but I don't know how that  
22 will translate with an incumbent which is actually bidding  
23 for a competitive project that adds both the cost service  
24 rate and the market based rate. There may be other  
25 clarifications that the Commission needs to provide if at

1 all. We view that fundamentally differently and that's way  
2 that at AEP we actually believe the fixed revenue  
3 requirement space gets into a lot of issues that I don't  
4 know if the Order One Thousand was contemplated on.

5 COMMISSIONER LEFLEUR: That's a good point. Ed.  
6 We will give you the last word.

7 MR. TATUM: Thank you Commissioner. That's  
8 scary.

9 (Laughter)

10 I appreciate the question and you know as I  
11 listen to it being formulated I just kind of went back to  
12 where we first got going when we started putting LNP in and  
13 having competitive markets. The premise there is that we  
14 would have generation that was indeed competitive and we  
15 said "oh, how are we going to do that? And then we said  
16 "okay, well we're either going to spin you off into an  
17 independent company" and back and forth. We didn't make  
18 folks divest. But what we did say is we're going to have  
19 open access transmission and we've got to go on with all the  
20 orders, 88 and on up to today.

21 Transmission has always been that regulated asset  
22 that makes markets happen. We have competitive markets that  
23 supply demand curve and you have whatever, I can't remember  
24 the five principles but you want lots of buyers with lots of  
25 sellers. How do you do that? Well you have transmission.

1 You want low or no barriers to entry. Well, we have to have  
2 transmission to make all that happen. Terry Boston used to  
3 say "if you like wind, you like transmission. If you like  
4 solar, you like " he liked transmission.

5 It made all the things happen and so I appreciate  
6 what you are saying about whether or not transmission can be  
7 in the competitive space that resources are. I would say  
8 "no". However that doesn't mean that the premise of Order  
9 One Thousand by getting a little bit more folks into the  
10 transmission game is not a bad idea but it's again public  
11 power guy, you got your actual cost. If you're getting an  
12 overall rate of return of 8 percent a year or whatever  
13 that's a pretty good investment nowadays and that kind of  
14 goes with covering your debt and covering whatever return on  
15 equity is.

16 Getting more competition there is helpful.  
17 Public power guy, I've got to say letting public power get  
18 in and build some of these lines I think would be very, very  
19 helpful for competition. Thank you.

20 COMMISSIONER LEFLEUR: Thank you very much.  
21 Norman?

22 CHAIRMAN BAY: Thank you, Cheryl. So I'd like to  
23 do a little bit of a drill-down into the rebuttable  
24 presumption and Raja had suggested that one way of thinking  
25 about the rebuttable presumption is that perhaps it would



1 only apply to capital costs as opposed to the cost of  
2 capital. By cost of capital you mentioned that would  
3 include the ROE. Is that what, John, is that what you and  
4 Terry, is that what you're advocating for or do you want ROE  
5 to be included within that rebuttable presumption?

6 MR. CUPPARO: We're not, I guess I'm not  
7 advocating the exact same position. I think my comments are  
8 more general than that. Or we could be part of it but what  
9 should be clear is that's actually being evaluated as part  
10 of the process so that you know how that's going to be  
11 treated on the back end and you're taking a position against  
12 that. If the region perceives that there is tremendous  
13 value in that then it's clear that's how we're, the bids  
14 being evaluated versus strictly capital costs so our  
15 position is not directly aligned with what Raja laid out.

16 CHAIRMAN BAY: Okay. Terry?

17 MR. HARVILL: Yes, I think similarly. Again it  
18 goes to the formation of the Order One Thousand process by  
19 the RTOs and they've all chosen a different path. I think  
20 what Raja has proposed would work in certain circumstances  
21 but again I think to John's point you know certain regions  
22 have a perceived value associated with including ROE and  
23 other components of the bid. You know, ultimately it's up  
24 to you to make that determination as to whether or not you  
25 feel that that's an important part of the overall bidding

1 process.

2 CHAIRMAN BAY: The other question I have is, just  
3 so that I'm clear on this, when you talk about a rebuttable  
4 presumption, how strong would that presumption be? In other  
5 words, what kind of showing would be needed to overcome that  
6 presumption?

7 MR. CUPPARO: So we did lay out a series of  
8 criteria in our comments and realizing that this is one step  
9 and probably multiple, in the first step maybe a policy  
10 statement or guidance that said "here's what the Commission  
11 would be looking for against the rebuttal. Presumption  
12 would be the burden of proof that somehow the process did  
13 not meet that criteria that it was flawed in terms of  
14 qualified number of bidders that the criteria was  
15 consistently clear across the entire bidding community and  
16 that the mechanisms to evaluate the bidders were clear on  
17 the front end so during the RFP process there is actually  
18 clarity in terms of what's going to be valued and how it's  
19 going to be scored. And so --

20 CHAIRMAN BAY: The examination would be to the  
21 process only then? It sounds like that's what you're  
22 saying.

23 MR. CUPPARO: Yes.

24 CHAIRMAN BAY: And would it be harder to do that  
25 in an RTO that uses a sponsorship model where you're looking

1 at many different kinds of projects all meant to address a  
2 certain kind of need? Is the competition as robust when  
3 there are a variety of factors that are being examined by  
4 the RTO, which uses its best judgment to select the project  
5 that best addresses the particular need?

6 MR. HARVILL: I think that, at least in my  
7 perspective, I think that shifts a bit of the burden on the  
8 RTO because from an ITC perspective I think that rebuttable  
9 presumption falls on the RTO to essentially have them make  
10 the best decision as opposed to it being on the developer  
11 itself because they're going to submit the idea but  
12 ultimately they are going to choose based upon.

13 CHAIRMAN BAY: Okay and I think I know where  
14 Craig is going to be going on this.

15 (Laughter)

16 No go ahead Craig.

17 MR. GLAZER: Yes, you know it's a double-edged  
18 sword. I mean on one hand yes it would be great to have all  
19 this discretion and deference. On the other hand I say to  
20 myself well, wait a minute. Wait a minute. Now, suddenly  
21 my decision has all these ratemaking implications.

22 CHAIRMAN BAY: At the litigation in part?

23 MR. CLARK: Yes, I mean we're at 2,000 and set up  
24 RTOs told me to do planning, didn't tell me to do  
25 rate-setting so that's where it's an added burden on the

1 back that I'm a little bit worried about.

2 CHAIRMAN BAY: John?

3 MR. HUGHES: Rather quickly. I think I share  
4 John's view on this and I think a rebuttable presumption is  
5 maybe a long-term wish. I think it's only credible when all  
6 the stakeholders believe the whole process is very credible  
7 and competent and they trust it going forward but you're not  
8 there. I mean you're really not there right now. So I  
9 think my being takeaway from today so far has been this  
10 concern about putting all these ratemaking issues out there,  
11 outside of the hearing room and putting in a part of bids in  
12 their review process by the RTOs for these projects. I know  
13 with my members that's not going to fly.

14 CHAIRMAN BAY: You know if the 784 criteria were  
15 met, would we be there?

16 MR. HUGHES: I'm sorry?

17 CHAIRMAN BAY: If the 784 criteria were met,  
18 would we be there? That is if the process was transparent,  
19 that there was real competition, that there was an  
20 evaluation oversight and a definition?

21 MR. HUGHES: Those are nice words but I'd like to  
22 see it in practice first.

23 CHAIRMAN BAY: Raja.

24 MR. SUNDARANAJAN: Yes, I think Chairman, I think  
25 you identified the issue becomes significant more

1 complicated in a sponsorship model. In a sponsorship model,  
2 the evaluation becomes not only the idea plus also the  
3 cost-containment elements it's kind of difficult to know how  
4 much role the cost containment actually played in the  
5 selection process. But that issue is obviously in our  
6 opinion at least the fact that all aspects of rate-paying  
7 should be done after the selection. That's why we  
8 understand all cost caps and are recurrent but what are the  
9 framework?

10 But even in a bid-based model, how do you  
11 attribute to an entity that has a right-of-way and has a  
12 significant edge over other entities? And what the  
13 selection process was primarily because of the fact that the  
14 entity had the right-of-way and that was the reason why the  
15 entity was selected for the project and true when a cost cap  
16 associated with it which has maybe a little teeth to it, but  
17 how do you make that an abutable presumption because  
18 they're -- you know, even the bid-based model you have  
19 issues and instances where cost is predominantly maybe it's  
20 not the right reason why the project was selected and be  
21 what the entity was like.

22 We actually have multiple issues for getting to  
23 the rebuttable presumption argument and that's why we  
24 proposed what we proposed.

25 CHAIRMAN BAY: Ed. You're smiling Ed.

1           MR. TATUM: Well, I am and I'm going to ask you  
2 for my answer here, please assume that I've gotten over the  
3 idea that the Federal Power Act says it's okay. But that  
4 being said, what we would really be going for here is to  
5 determine if there is really a direct, price-based  
6 competition among parties to build the same transmission  
7 project. Then the other part of that, which would actually  
8 force prices towards marginal costs. So that would be the  
9 economic three running behind that.

10           Now, how are we going to do that? And as Raja  
11 said that the sponsorship model makes it kind of different  
12 because we've got apples to pears and back and forth  
13 comparisons. Now, if we're actually comparing a bunch of  
14 different 115 KB or 345 KB lines we might be closer but  
15 we're still not certain because there are additional things  
16 that an incumbent may have over the non-incumbent.

17           In answer to your question to John, 784  
18 principles, no those are good principles. Those are good  
19 guiding principles. Perhaps there's a way to work with them  
20 in conjunction with some principles you all put out under  
21 order 890 that might feel some benefit there. So I'll leave  
22 you with that.

23           CHAIRMAN BAY: Thanks Ed. John?

24           MR. CUPPARO: Our assumption is that under a  
25 sponsorship model that again the weighting of the cost, I

1 think which is kind of in the central theme is appropriately  
2 accommodated for and that would be clear up front so you  
3 know that it's not just the only component that a project is  
4 being revisited and evaluated on. It could change project  
5 to project or type of project so making sure that that's  
6 clear up front may be important in both models. Also  
7 recognizing that we do see this as a maturity thing that  
8 you're taking steps, that we don't go from where we are  
9 today to you know completion and then the next step with  
10 guidance and clarity around some of those principles would  
11 be important.

12 CHAIRMAN BAY: So I have one other question about  
13 the rebuttable presumption. How long should it last?  
14 Should it be over the entire useful life of the asset which  
15 could be 40 or 50 years or could it be a shorter period of  
16 time? Five years, ten years; something that provides  
17 greater regulatory servitude but at some point ends. You  
18 know, going to your point Terry about PPAs I mean you  
19 mentioned PPAs having a term to five years or ten years,  
20 maybe fifteen years. There probably aren't many PPAs of a  
21 40-year term and so the counter argument is going to be from  
22 consumer groups is going to be you're locking in consumers  
23 to a really big bet and is that really necessary?

24 Maybe we need the contract you know, maybe that  
25 should be enough? But now you want to sweeten it but it

1 doesn't have to be for the useful life of the asset if it's  
2 a 40 or 50-year period.

3           MR. HARVILL: I think I would start with the fact  
4 that when bidding a project from constructing a project,  
5 financing that project over the course of its useful life of  
6 40 years so I'm not going to go out and get financing for a  
7 transmission project for 10 years or for 15 years. It's  
8 going to be for the life of that project. So that's the  
9 foundational issue. I guess my question back to you would  
10 be what is going to materially change over the course of  
11 that 30 or 40 year period that's going to justify going in  
12 and changing the capital structure of the ROE or the other  
13 components that have been subject to a cost-containment or  
14 some type of price cap associated with that.

15           So if I'm going in and I bid and I'm the lowest  
16 cost developer that actually wins the project, ultimately  
17 what could happen in the future that would cause the  
18 Commission or the consumer to have concerns that essentially  
19 we're over-earning or we're not doing what we're supposed to  
20 be doing on that project. So that's what I struggle with is  
21 that you know we're opening this up because we don't know  
22 what the future may hold but at the same time I can't  
23 predict today what that would actually be. So I actually go  
24 back then to how I actually get that project built in the  
25 first instance which is financing over the course of its



1 life.

2 CHAIRMAN BAY: But isn't, this is in response to  
3 you that what you could do is that instead of offering a  
4 proposal with a cost cap you offer one without a cost cap,  
5 which is going to go through all the process that John  
6 Hughes over there, you know, wants that project to go  
7 through, right.

8 MR. HARVILL: Right, you could and I would  
9 hearken back to the fact that it seems we're on a trajectory  
10 at least in the Order One Thousand competitive process that  
11 there seems to be some benefit associated with having a cost  
12 cap in place. So without that you're going to be  
13 disadvantaged in the process.

14 CHAIRMAN BAY: Craig.

15 MR. GLAZER: Just very quick. I'm not a fan of  
16 the rebuttable presumption but if you just limit it to  
17 construction cost, you'd solve that problem that you've just  
18 raised. Because that's obviously a static fixed time so  
19 that would solve that problem, at least make it simpler.

20 CHAIRMAN BAY: John.

21 MR. CUPPARO: Just a comment on the cost cap, in  
22 SPP as an example in their recent bid, a cost cap didn't  
23 actually guarantee you getting the project realizing that  
24 they've got a bit of the sponsorship into their process but  
25 you could actually see in terms of their report how much a

1 cost cap may be valued versus an uncapped bid so I think  
2 those are also important transparency items that would help  
3 with this issue.

4 CHAIRMAN BAY: Clearly that has been a theme that  
5 we've heard today that transparency would be helpful for  
6 transmission developers. Ed.

7 MR. TATUM: We have a lot of projects already  
8 under competition, competitive development, absent of  
9 rebuttable presumption. Transmission is a good business.  
10 We don't think we need it at all. The other point I wanted  
11 to raise is I think we seem to think and we might believe  
12 that cost caps where competitive transmission has benefitted  
13 consumers, at this point I don't think we have any empirical  
14 evidence to that. We have a hope and we understand that it  
15 might be the case but that's not a certainty.

16 CHAIRMAN BAY: Thank you. Colleagues, any other  
17 questions for follow up?

18 COMMISSIONER CLARK: Let me just ask a really  
19 quick question for follow up for anybody who wants to jump  
20 in on this. I thought Raja hit something right on the head  
21 that I've been thinking about for a while which is this  
22 issue of sponsorship versus competitive bid in relationship  
23 to cost containment measures like fixed revenue  
24 requirements. Is it, I think it's pretty self evident that  
25 it's tougher in the sponsorship model to try to get your

1 head around how it works but I'm curious if folks have an  
2 opinion of whether, is it simply more difficult in a  
3 sponsorship model as compared to a competitive bid model or  
4 is it just so difficult that it's almost precluded. We  
5 don't even want to spend a lot of time thinking about it?  
6 Is it so tough that it's too tough to even get your arms  
7 around?

8 MR. SUNDARANAJAN: Commissioner, we actually  
9 think that it's fundamentally difficult on a  
10 sponsorship-based model than in a bid-based model because in  
11 a bid-based model first of all I think the concept that we  
12 are more familiar with is the MISO and SPP region which is  
13 predominantly Midwest and you know the project and you have  
14 a good six months to put in a bid.

15 In six months you could do siting studies,  
16 preferential route studies, potentially look at some Geodex  
17 studies to see what rock formations are there. To see what  
18 can be actually built and then you basically have a lot  
19 better scope on the project in the six months by the time  
20 you actually put in a bid that is meaningful with a  
21 cost-containment that is real. In a sponsorship model, you  
22 have four months to come with not only the idea, now you're  
23 asking the developer to come up with A) a potential idea  
24 that has we have no idea whether it's going to succeed at  
25 the end of the day; B) put in more dollars in terms of

1 scoping the project, doing route studies, Geodex studies  
2 that becomes significantly more difficulty for a developer.

3 In our opinion that is one of the main reasons  
4 why a sponsorship based model, even though it's great in  
5 terms of generating ideas but doesn't lend itself to other  
6 rebuttable presumption concepts.

7 COMMISSIONER CLARK: Anybody else?

8 MR. TATUM: Raja talked about the developer's  
9 side of it from the customer or the regulator's side of it  
10 define and how do we evaluate these various different  
11 solutions? You know you can get the Geotech studies and  
12 back and forth it's just a limited timeframe you still can't  
13 get it all done. But then to really assure that we have all  
14 these projects, enough projects that are driving that  
15 marginal cost down but they are completely different. I  
16 think that makes it even more complicated.

17 COMMISSIONER CLARK: Yes, thanks. I mean, in  
18 folks who come through my office I hear all the time the  
19 same thing that I've heard here today which is "we didn't  
20 get the model to work." And you hear good things about  
21 either one if they're structured properly. It doesn't  
22 necessarily mean that everything that we could come up with  
23 in terms of potential regulatory solutions fits equally with  
24 each model and I think we're sort of finding that out.

25 HONORABLE: Thank you, Mr. Chairman. I have a

1 very brief comment, just to thank the panelists. You've  
2 been very thoughtful. I think we've observed that you've  
3 also stretched a bit to be creative.

4 (Laughter)

5 Raja, you in particular, willing to branch out  
6 from your colleagues with thinking about ways that really  
7 embrace a broader stakeholder base. I greatly appreciate  
8 that because through this effort we can find solutions.  
9 Maybe they're not perfect but their better and they will aid  
10 us in ultimately getting the transmission built that we need  
11 so I just wanted to thank you. This was a robust and  
12 wonderful panel.

13 CHAIRMAN BAY: I'd like to thank all of our  
14 panelists today for our second panel. I really appreciated  
15 your remarks. Very thoughtful, very helpful to us. We had  
16 actually planned to bring you back tomorrow morning from 9  
17 to 10 o'clock in the morning. I don't think that will be  
18 necessary now. Instead we will start with panel 3 at 9  
19 o'clock in the morning the Staff will reach out to the  
20 members of Panel 3 to make sure that they are here but thank  
21 you very much.

22 (Whereupon at the meeting concluded at 5:03 p.m.)

23

24

25

## 1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding:

7 Competitive Transmission Development

8 Technical Conference

9

10

11

12

13

14

15 Docket No.: AD16-18-000

16 Place: Washington DC

17 Date: 6/27/2016

18 were held as herein appears, and that this is the original

19 transcript thereof for the file of the Federal Energy

20 Regulatory Commission, and is a full correct transcripton of

21 the proceedings.

22

23

24 Larry Flowers

25 Official Reporter